

STATE OF NEW HAMPSHIRE
SITE EVALUATION COMMITTEE

June 23, 2017 - 9:00 a.m.
49 Donovan Street
Concord, New Hampshire

DAY 19
Morning Session ONLY

{Electronically filed with SEC 07-07-17}

IN RE: SEC DOCKET NO. 2015-06
NORTHERN PASS TRANSMISSION -
EVERSOURCE; Joint Application of
Northern Pass Transmission LLC and
Public Service of New Hampshire d/b/a
Eversource Energy for a
Certificate of Site and Facility
(Hearing on the Merits)

PRESENT FOR SUBCOMMITTEE/SITE EVALUATION COMMITTEE:

Chmn. Martin Honigberg <i>(Presiding Officer)</i>	Public Utilities Comm.
Cmsr. Kathryn M. Bailey	Public Utilities Comm.
Dir. Craig Wright, Designee	Dept. of Environ.Serv.
Christoper Way, Designee	Dept. of Resources & Economic Development
William Oldenburg, Designee	Dept. of Transportation
Patricia Weathersby	Public Member
Rachel Dandeneau	Alternate Public Member

ALSO PRESENT FOR THE SEC:

Michael J. Iacopino, Esq. Counsel for SEC
(Brennan, Caron, Lenehan & Iacopino)

Pamela G. Monroe, SEC Administrator

(No Appearances Taken)

COURT REPORTER: Cynthia Foster, LCR No. 14

I N D E X

WITNESS PANEL	DENNIS MAGEE ROBERT VARNEY LEE CARBONNEAU SARAH BARNUM JACOB TINUS	PAGE NO.
Cross-Examination by Ms. Saffo		5
Cross-Examination by Mr. Thompson		59
Cross-Examination by Ms. Menard		84
QUESTIONS FROM SUBCOMMITTEE MEMBERS & SEC COUNSEL BY:		

E X H I B I T S

EXHIBIT ID	D E S C R I P T I O N	PAGE NO.
GRAFTON 32	Title XII, Public Safety and Welfare, Chapter 162-H, Energy Facility Evaluation, Siting, Construction and Operation, Section 162-H:1, Declaration of Purpose	4
GRAFTON 33	Terracon Report of Expected Geotechnical Conditions, Northern Pass Desktop Review, Exhibit A4-9	35
GRAFTON 34	Letter to Craig Rennie from George Dana Bisbee dated August 8, 2016, regarding geotechnical borings in Woodstock, New Hampshire	24
GRAFTON 35	Letter to Pamela Monroe from George Dana Bisbee with two standard dredge and fill wetland applications for soil test pits and one Shoreland Permit by Notification dated June 7, 2017	48

P R O C E E D I N G S**(Hearing resumed at 9:00 a.m.)**

1
2
3 PRESIDING OFFICER HONIGBERG: Good morning
4 everyone. I'm told this is Day 19. We're
5 continuing with the Environmental Panel. Laura
6 Saffo from the Grafton County Commissioners is
7 going to continue the questioning. Ms. Saffo,
8 you may proceed.

9 MS. SAFFO: Thank you.

10 (Exhibit 32 marked for identification)

CROSS-EXAMINATION**BY MS. SAFFO:**

12
13 Q Good morning. Good morning. I guess I would
14 direct this to Mr. Varney. So is it fair to say
15 that part of the reason why we're here this
16 morning is to look at New Hampshire RSA 169-8:1
17 which is a Declaration of Purpose. Is that
18 something that's fair to say?

19 A (Varney) For the SEC are you referring to?

20 Q Yes.

21 A (Varney) Yes.

22 Q This is the Energy Facility Evaluation Site and
23 Construction Operation Chapter in the New
24 Hampshire law.

1 A (Varney) Oh, okay. Thank you.

2 Q Right in front of you I have the first part of
3 that chapter which is a Declaration of Purpose.

4 A (Varney) Um-hum.

5 Q And I've underlined the part that talks about
6 that full and timely consideration of
7 environmental consequences be provided. Fair to
8 say it says that?

9 A (Varney) Yes.

10 Q Now, one of the issues that, I'm going to use
11 the word struggle, that we've been struggling
12 with is the Project seems to evolve over time.
13 Do you understand what I mean by that?

14 A (Varney) Do you mean changes in the Project?

15 Q Yes. Yes.

16 A (Varney) That were submitted to the SEC?

17 Q Yes. So it makes it kind of a moving target as
18 far as trying to put your head around the entire
19 Project.

20 But we can agree that our law requires a
21 full and timely consideration of the
22 environmental impacts, correct?

23 A (Varney) Yes.

24 Q Do you agree that the Project continues to hope

1 to work through variances and requests for
2 modifications of this Project?

3 A (Varney) I believe that they are continuing to
4 work with homeowners, communities, other
5 interested parties.

6 Q You've actually submitted requests to the SEC
7 and to permitting entities, correct?

8 A (Varney) I'm not familiar with those.

9 Q Okay. So from your perspective, the plan that's
10 in front of you now is the plan.

11 A (Varney) Yes.

12 Q Okay. Do you agree that any modifications of
13 that would require additional modifications of
14 the environmental impacts as well?

15 A (Varney) Perhaps. It depends on the degree of
16 change.

17 Q Exactly. So if, for example, instead of being
18 to the right side of the road you moved to the
19 left side of a road, there could be
20 significantly different impacts, correct?

21 A (Varney) From the standpoint of air quality?
22 No.

23 Q Well, yes. I understand you're the air quality
24 subspecialist, but as the President of

1 Normandeau --

2 A (Varney) Okay.

3 Q I presume you could agree that -- I can address
4 it to somebody else if you'd like, maybe Dennis.

5 A (Varney) Yes, if you'd like to discuss wetlands
6 perhaps.

7 A (Carbonneau) I've been intimately involved with
8 preparing the Permit Applications for the
9 environmental side of things so I probably
10 should take this.

11 Q Oh, that's fine. You guys can jump in, but if
12 we're changing, for example, what side of the
13 road we're going to be trenching on, that would
14 change the environmental impact, wouldn't it?

15 A (Carbonneau) If the work is taking place in the
16 road, in the disturbed road bed, there will be
17 very little difference between one side of the
18 road and the other as to what the environmental
19 impacts are. If you're already in a disturbed
20 road bed, the environmental impacts are really
21 minimal.

22 Q But it's fair to say most of the Project is not
23 under tar, correct?

24 A (Carbonneau) Most of the Project is in the

1 disturbed road bed which may not be under tar
2 but could be in the shoulder. Correct.

3 Q And in Grafton County, at least, many of the
4 miles, for example, on 116 are very narrow roads
5 to begin with, correct?

6 A (Carbonneau) Well, I guess that's a relative
7 term.

8 Q Okay. So fair to say that sometimes the
9 pavement ends, and on one side of the road you
10 hit a hill that goes directly up that a person
11 couldn't easily walk up, correct?

12 A (Carbonneau) Beyond the shoulder of the road
13 that could be the case.

14 Q And that on the other side, where, for example,
15 they might currently have the plan, there's a
16 little stream alongside the road. Do you
17 remember parts like that along 116?

18 A (Carbonneau) Yes. Yes. Beyond the shoulder of
19 the road and beyond the ditch, there could be a
20 stream within the right-of-way.

21 Q How long, how broad do you consider the shoulder
22 and the more narrow parts of 116?

23 A (Carbonneau) That depends on how it was
24 constructed. It could vary in width.

1 Q In your experience working with this Project,
2 what is the vary that you've seen, the low and
3 the high?

4 A (Carbonneau) I couldn't give you an exact
5 number.

6 Q Well, could you agree there are parts where the
7 road, the shoulder before you hit water is less
8 than two feet?

9 A (Carbonneau) I guess that's possible.

10 Q So in those areas, it's a little, the
11 environmental impacts are more significant,
12 correct?

13 A (Carbonneau) It depends on what's beyond the
14 shoulder.

15 Q So if there's a small stream beyond the
16 shoulder, would you agree that the environmental
17 impacts are more significant?

18 A (Carbonneau) If there were a small stream that
19 could be affected by the actual construction or
20 the trenching for the Project, then that would
21 have a potentially a temporary environmental
22 impact.

23 Q And you're familiar with Route 116 between
24 Franconia and 112, correct?

1 A (Carbonneau) Yes.

2 Q And that is a twisty narrow road, well, it's a
3 relative term. The pavement is generally 24
4 feet wide, correct?

5 A (Carbonneau) That sounds about right, but I
6 can't confirm the number.

7 Q Yeah. And in many parts of it off the pavement
8 you might have a white line, but the paved
9 portion past the white line is very narrow?
10 Less than two feet?

11 A (Carbonneau) I think that sounds about right.

12 Q Okay. Thank you. Now, are all environmental
13 impacts set forth in the Application?

14 A (Carbonneau) Well, the Application was submitted
15 in October of 2015.

16 Q Um-hum.

17 A (Carbonneau) There have been some changes since
18 then. Those have been documented and submitted
19 to the Agencies since then so they would be sort
20 of in addition to the Application, but they've
21 also been provided to the SEC so those impacts
22 are included in the Application.

23 Q And do you anticipate doing that more in the
24 future? Continuing to provide additional

1 proposed modifications to the SEC and to the
2 agencies?

3 A (Carbonneau) Only if necessary. We've been
4 instructed as part of our permit conditions from
5 DES to continue to try to minimize impacts to
6 the extent possible. If that can be done
7 through a minor modification in the design, then
8 certainly that would take place.

9 Q And you're familiar that the construction team
10 also said on top of that they're requesting
11 variances from a number of the conditions,
12 correct?

13 A (Carbonneau) I'm not familiar with that
14 testimony.

15 Q Okay. Now, what about the borings, the
16 geoborings? Is that something that was included
17 in the Application, the environmental impacts of
18 those?

19 A (Carbonneau) The geotechnical borings that have
20 already taken place were permitted separately
21 because they needed to be done prior to the
22 final design of the Project. There are
23 additional, there's additional geotechnical work
24 that will take place once the Project approvals

1 and permits are finalized, but that work will be
2 within the footprint of the permitted area
3 already.

4 Q And if the geoborings are handled in a separate
5 Application, are the environmental impacts
6 associated with those geoborings included in
7 what's in front of the SEC?

8 A (Carbonneau) We made separate applications to
9 New Hampshire DES for wetland and shoreland
10 permits for that work, and, yes, those were all
11 provided to the SEC. They're part of the
12 Project, but they fall under a different permit
13 because it needed to be approved prior to the
14 approval of the overall construction
15 Application.

16 Q But a lot of the geoboring occurred after
17 October 2015, correct?

18 A (Carbonneau) Yes. Some of it. Not all of it,
19 but --

20 Q A lot of it though. A lot of geoboring occurred
21 after October 2015.

22 A (Carbonneau) Yes, a lot of the borings along the
23 underground route.

24 Q Yes. And when you did the borings along the

1 underground route after October of 2015, did you
2 tell the landowners that you were going on that
3 site, their land to do that?

4 A (Carbonneau) Well, my understanding was those
5 borings took place within the DOT right-of-way
6 for the underground route. And there were other
7 borings that were conducted on the transition
8 station properties and the converter terminal
9 and at Deerfield and other places. So those are
10 properties that are owned by the Project at this
11 point. So those landowners were aware.

12 Q So the DOT right-of-way portions, though, like
13 Grafton County, through, down 18 through 116, up
14 112, this was where DOT had a right-of-way over
15 private property. Did you contact those private
16 owners to let them know?

17 A I didn't personally do that, no. I prepared the
18 Permit Applications for New Hampshire DES, but
19 as far as notifications of the property owners
20 that may have been near that work, I did not.

21 Q Do you know if anybody did?

22 A (Carbonneau) I don't know.

23 Q Can you explain how deep a boring is?

24 A (Carbonneau) No. I'm not a geotechnical expert.

1 I do not know how deep they went.

2 Q Can anybody here talk about how deep those
3 borings went?

4 A (Titus) They varied to tens of feet. I don't
5 know the exact deepest one. But safe to say
6 tens of feet.

7 Q So like, when you say tens of feet, do you mean
8 like from 10 to 30 feet?

9 A (Titus) Ten, 20, 30 to 50, right.

10 Q At a range of 10 to 30 feet?

11 A (Titus) Right.

12 Q So that's a pretty deep hole for lack of a
13 better word? Fair to say?

14 A (Titus) It's not inordinary. I mean, it's a
15 common depth.

16 Q And do you know how many borings have been done
17 to date? And anybody can answer this.

18 A (Carbonneau) I don't recall the number of
19 borings. That's probably something for the
20 Construction Panel.

21 Q Okay. But to be clear, borings include chemical
22 additives, correct?

23 A (Carbonneau) I'll let Jake.

24 A (Titus) They use drilling mud which contains

1 bentonite which is a common mineral substance.
2 It's actually mined in the United States in
3 Wyoming and derived from volcanic ash so that
4 ads a slippery factor to the drilling, if you
5 will.

6 Q Yes.

7 A (Titus) So that mixed with water and it's a
8 drilling slurry that's used to allow the drill
9 to core through the soil and the rock.

10 Q So did the drilling slurry have anything other
11 than the bentonite and the water?

12 A (Carbonneau) It can. Depending on the
13 application, sometimes they mix other substances
14 in to the polymers that are approved. They're
15 used to allow or enable the drill to proceed
16 more slowly or more quickly depending on the
17 conditions. So, in other words, they add to
18 viscosity or detract from it.

19 Q Um-hum. So I guess what I'm trying to get at is
20 what was used, like what kind of chemical
21 additives were used in Grafton County when these
22 holes were dug, these borings were made.

23 A (Titus) I believe it was the bentonite, water,
24 and, in some locations, ACCU-VIS which is a

1 polymer additive.

2 Q Okay. And fair to say that's stuff that people
3 don't want in their water, like you wouldn't put
4 that in your well?

5 A (Titus) Fair to say it's a commonly used product
6 in the drilling industry and widely used all
7 over the country for this application.

8 Q There's a big difference between what's commonly
9 used in the drilling business and what people
10 want in their wells though, correct?

11 A (Titus) It's used in a location. The intention
12 is not to put it into the wells, although
13 bentonite is used in wells to seal wells, to
14 decommission them. So it's a very commonly used
15 product.

16 Q Yeah. And the particular, when you're looking
17 at a hole like 10 to 30 feet, you can go through
18 water tables, correct?

19 A (Titus) Correct.

20 Q And when you go through water tables there is a
21 possibility that if there's a problem, you could
22 impact a water table, correct?

23 A (Titus) That's a possibility, but the drillers
24 are, you know, they're using casing to keep the

1 drilling operation separate from the surrounding
2 water. That's part of their normal operations.

3 Q And that's what they hope happens in every case,
4 correct?

5 A (Titus) Correct.

6 Q But there can be problems.

7 A That's the goal, to do it cleanly and in
8 accordance with the BMPs and standard practices.

9 Q But there can be problems, correct?

10 A (Titus) There could be.

11 Q Yes. Now, then we have the test pits. Can you
12 tell us about the test pits?

13 A (Titus) Test pits are going to be done at some
14 of the locations for the facilities. Transition
15 stations.

16 Q Yes.

17 A (Titus) And that was a request via the permit
18 condition from the AOT, and this is to obtain
19 additional estimated seasonal high water table
20 data at 7 of the 9 facilities.

21 Q And that includes Pittsburg?

22 A (Titus) That will include Pittsburg, correct.

23 Q Okay.

24 A (Titus) So Applications were submitted for that

1 work a couple of weeks ago. We're waiting for
2 approval to do that.

3 Q And that also will involve environmental
4 impacts, correct?

5 A (Titus) These are temporary impacts on those
6 sites. Small excavator will be used to dig to
7 the appropriate depth to make observations in
8 the file and the soil will be backfilled.

9 Q But, fair to say, we should be keeping a record
10 of temporary impacts in addition to the
11 permanent impacts?

12 A (Titus) We are. They're very minor, quite
13 frankly. The impacts are mostly from crossing
14 existing wetlands to get to the location where
15 they need to dig the test pits.

16 Q And that's a big deal. Crossing existing
17 wetlands.

18 A (Titus) No, it's done all the time.

19 (Court reporter interruption)

20 Q So how is the data involving these temporary
21 impacts, what you consider temporary impacts,
22 being reflected in the Project itself?

23 A (Titus) Well, it's accounted for within the
24 Application. You're speaking of the test pit

1 Application?

2 Q Test pits, the geoborings, the stuff that you
3 consider temporary.

4 A (Titus) So in each Application, it's part of the
5 record and it has the accounting for what the
6 impacts are associated with that permitted
7 activity.

8 Q But if these Applications are separate
9 Applications, then we'd have to go to another
10 Application to add them up, correct?

11 A (Carbonneau) If I could say --

12 Q Sure.

13 A (Carbonneau) These are locations that are within
14 the footprint of the proposed Project. So while
15 they may be impacted more than once, they don't
16 extend the footprint of the overall Project.
17 They do have to be permitted separately, and
18 there's an Application fee associated with that,
19 just because they need to be done earlier than
20 the construction of the actual Project. But all
21 of those, all of those impact numbers are part
22 of the record because they're part of the
23 permitting process.

24 Q And that would be why it's really important to

1 be communicating with these private landowners,
2 correct?

3 A (Carbonneau) Well, the test pits are happening
4 on land that the Project already owns.

5 Q I'm talking about the geoborings. The up to 30
6 feet borings on people's private land.

7 A (Carbonneau) Well, the work is taking place in
8 the road right-of-way. A public road
9 right-of-way.

10 Q But are you aware that Northern Pass has taken
11 the position, it's a disputed position, but it's
12 nonetheless their position that the DOT
13 right-of-way can be 66 feet long through the
14 Franconia/Easton area, 116? So they're
15 basically saying Northern Pass has taken the
16 position, I'm not saying this is accurate, but
17 Northern Pass has taken the position that they
18 can just go up to 20 feet on both sides of the
19 road which in many locations would include a
20 house.

21 A (Carbonneau) I'm not familiar with the details
22 of that argument or the controversy surrounding
23 that property rights issue. I think that's a
24 legal issue. But we did conform to the

1 requirements of the Permit Applications in
2 identifying the appropriate easement holders for
3 the work that was being conducted.

4 Q The alleged easement holder, but you didn't
5 reach out to the private landowner whose land
6 the easement went over or the alleged easement
7 went over?

8 A (Carbonneau) I did not personally.

9 A (Titus) If I could add?

10 Q Sure.

11 A (Titus) I believe there was an outreach effort
12 to notify towns that we were going to be out in,
13 so, in other words, the Selectboard or the Town
14 Manager or somebody was notified by the Project,
15 written, called, whatnot, followup, and they
16 requested if there's any concerns that they
17 could be addressed through the Project, the
18 Project would be happy to meet with folks. So
19 that effort was made by the outreach group but
20 other than that, I don't know the specifics of
21 it. I'm sorry about that.

22 Q You might not have been here when there was
23 testimony by the Construction Panel that there
24 was an outreach effort with private landowners,

1 and when private landowners reached out to
2 Northern Pass they came and visited with them,
3 and they told them there wouldn't be an impact
4 on their property, that it was going to be under
5 the roadway, and that was never corrected.

6 So just so you know that testimony already
7 came in that the reachout occurred, landowners
8 got letters, some landowners responded to those
9 letters. They said please, come talk to me
10 about what's happening in front of my house, and
11 when they went and talked to them about what was
12 in front of their house, the landowners were
13 told don't worry, it's going to be under the
14 pavement, and then the plan changed. And the
15 landowners weren't updated. And in fact, the
16 testimony was that they planned on updating the
17 landowners after approval.

18 So you weren't here for that part. But
19 just to give you an idea as to why I'm trying to
20 see if when these geoborings occurred if there
21 was additional outreach directly to the
22 landowners to say, you know, on the land in
23 between your doorstep and the pavement, there's
24 going to be an up to 30-foot hole put in the

1 ground, but it looks like you left that to
2 outreach; is that fair to say?

3 MR. NEEDLEMAN: I'm going to object to the
4 characterization.

5 Q But is it fair to say --

6 PRESIDING OFFICER HONIGBERG: Is Mr. Walker
7 joining you in that objection?

8 MR. NEEDLEMAN: I'm objecting because it
9 relates to land rights and the Construction
10 Panel.

11 PRESIDING OFFICER HONIGBERG: Ms. Saffo?

12 MS. SAFFO: I think it's perfectly
13 reasonable to ask the Environmental Panel if
14 they informed people that a 30-foot boring was
15 going to be --

16 PRESIDING OFFICER HONIGBERG: You can ask
17 the question you just turned to us and said.
18 Okay?

19 BY MS. SAFFO:

20 Q So I will ask to anybody here. Are you aware
21 whether there was any notification to the
22 private landowners that, well, just say may or
23 may not have an easement over their property
24 that there was going to be a boring drilled on

1 their property?

2 A (Carbonneau) No. I think I answered that
3 before. That I'm not aware.

4 Q And, obviously, if a slurry and borings are not
5 properly cleaned up, that would be a concern of
6 yours, correct?

7 A (Tinus) Well, they have to follow, the drilling
8 crews are supposed to follow the Best Management
9 Practices for the work they're doing.

10 Q And I don't rehash anything already discussed.
11 I believe there was a discussion about a
12 situation at Stark Falls Brook during one of the
13 geoborings. Do you recollect that?

14 A (Tinus) I don't know about the exact location.
15 We were shown some pictures. I don't know the
16 exact location of that.

17 (Exhibit 34 marked for identification)

18 Q And I have a letter from a George Dana Bisbee to
19 Craig Rennie who's the Inland Wetlands
20 Supervisor of the New Hampshire Department of
21 Environmental Services, and it's dated August
22 8th, 2016. So I'm going to be referencing that.
23 And I'll put, it's page 2, I'll put it front of
24 you.

1 So fair to say that we learned that there
2 was a situation where there was some discharge
3 from one of the geoborings, correct? Are you
4 aware of that?

5 A (Tinus) As it appears in this letter, yes.

6 Q And in that particular location, as Mr. Bisbee
7 explains, water was directed to a hay bale
8 containment/filtering Best Management Practice,
9 correct?

10 A (Tinus) Correct.

11 Q And you're familiar with using the hay bales as
12 a Best Management Practice at these locations,
13 correct?

14 A (Tinus) Yes.

15 Q What's the purpose of the hay bale?

16 A (Tinus) That's to slow and filter water.

17 Q And then that was the intent, the intent of the
18 Best Management Practices was to filter, quote,
19 "the drilling water such that the fine materials
20 would be removed and the water would infiltrate
21 into the ground to prevent flowage into a nearby
22 stream," which was a tributary stream to the
23 Wild Ammonoosuc River which is a major river in
24 our area. However, there was a problem. It

1 said, "because this site was on a slope having
2 an uneven rocky ground surface beneath the
3 vegetative cover, the drilling discharge
4 appeared to have flowed more quickly than could
5 be fully filtered." Then, "As a result, some of
6 the water containing the suspended solids
7 reached the stream during the drilling
8 operations."

9 And that happens. You don't want it to
10 happen, but it happens, correct?

11 A (Titus) It can happen. Yes.

12 Q Now, here is the part that I want to focus on.
13 It said, "Nonetheless, according to the drilling
14 crews, the amount of release was very small,
15 less than ten gallons, and the milky discharge
16 that traveled to the stream was minimal and
17 quickly dissipated."

18 Now, as far as evaluating what happened in
19 this situation, the investigation was basically
20 talking to the drilling crew and then just
21 taking their word for it, correct?

22 A (Titus) No, I believe representatives from
23 Eversource were there, DES also inspected
24 locations as the DOT and the U.S. Forest

1 Service. The three agencies looked at the
2 practices and the issues that were brought to
3 their attention, and they determined there were
4 no further issues.

5 I'd also like to add that there were no
6 other issues that were brought to anyone's
7 attention for all the remaining borings.

8 Q Yes. And that being one of the issues. It has
9 to be brought to somebody's attention, correct?

10 A (Titus) Basically, the contractors are very well
11 trained in what they do, but as you pointed out,
12 sometimes something can happen. They follow
13 Best Management Practices, and I think what it
14 says here is that "appropriate BMPs will be
15 implemented for the remaining test boring
16 locations to avoid any similar discharges" was,
17 you know, that's how it played out. They
18 actually changed their approach and started
19 capturing the material and trucking it away.

20 And this is, in general, how it works in
21 the construction field. When you have an
22 erosion problem, you change your approach, and
23 you beef up the BMPs and then you're correcting
24 objections prevent it from happening again.

1 Q But I think it's fair to say --

2 A (Titus) It's required by law.

3 Q How quickly did Eversource get to that location?

4 A (Titus) That I do not know.

5 Q And so probably not within a couple hours
6 though, correct?

7 A (Titus) Hours? Perhaps the next day.

8 Q How quickly do you expect DES to be able to
9 respond to a location if there's a problem in
10 the future during the construction of this
11 192-mile Project?

12 A (Carbonneau) That will be handled a little
13 differently. There's Environmental Monitors
14 planned for the construction part of the
15 Project. So there will be Environmental
16 Monitors on site, and those monitors will have
17 the ability to stop work immediately if a
18 serious problem is identified, and they are also
19 required to notify New Hampshire DES.

20 Q That's exactly what I'm getting at. How many
21 Environmental Monitors for the 192-mile Project
22 are you anticipating?

23 A (Carbonneau) I don't know the number of
24 monitors. They'll be deployed where

1 construction is taking place. So if there are
2 multiple crews out doing construction in
3 different locations, there will be Environmental
4 Monitors in those locations.

5 Q Are you aware that isn't what the earlier
6 testimony was from Northern Pass?

7 A (Carbonneau) I'm not familiar with someone
8 else's testimony on this.

9 Q Are you aware that a number of three monitors
10 has been thrown out there during the
11 Construction Panel? A north person, a middle
12 person and a southern person?

13 A (Titus) Can I add something? I think what they
14 explained was that would be the person that's
15 ultimately in charge in each of the three
16 regions, but they would have a team working for
17 them. My understanding is the contractor will
18 have that sort of similar arrangement as well as
19 Eversource. So there will be a lot of people,
20 and I also heard the number thrown out there
21 perhaps 10 to 20 different Monitors will be
22 need.

23 Q So is it your expectation that it would be
24 appropriate for there to be a condition in this

1 Project that there be a Monitor wherever there
2 is construction?

3 A (Titus) That will happen. The Monitors will be
4 checking out all active construction zones.
5 Remember, that while it's 192 miles long, 192
6 miles are not going to be worked on all at the
7 same time. So there's different zones of
8 construction.

9 PRESIDING OFFICER HONIGBERG: Mr. Titus,
10 that sounded like yes.

11 A (Titus) Correct.

12 Q So are you aware that we were talking about how
13 long the Project is going to take, and if, for
14 example, for just the 11-mile portion on Route
15 116, from Franconia to 116, if you counted just
16 the trenchless operation digging estimating 50
17 feet a day it was going to take to just to do
18 the trenchless digging, the trench digging, I
19 apologize, the trench digging, it was going to
20 take over 1000 days, I believe was 1,112 work
21 days. And when we said that's a really long
22 time and doesn't include the multiple pits, I
23 believe there was going to be 30 because it was
24 about three a mile, the 34-foot pit, and that

1 doesn't include the horizontal drilling that was
2 going to occur which included a microtunnel. If
3 you assign one person to do all the HDD and
4 microtunneling, and you assign one person to do
5 all the 34-foot pits that are buried under the
6 ground and don't even include that, you still
7 have five crews just on that ten-mile rate to be
8 able to get done in 271 days.

9 So if the Project is going to take three
10 years, I mean, two years, for example, constant
11 construction for two years, you're going to be
12 looking at five different construction locations
13 every 10, 11 miles where the ground is buried,
14 where everything is going to be buried. Sixty
15 miles are going to be being buried. So you're
16 looking at 30 work crews if you want to finish
17 in two years in just the underground portion.

18 So presuming that's the case, there are 30
19 teams for two years working around the clock
20 with no stops for environmental in use, no
21 stoppages for coming across environmentally
22 sensitive animals or things like that, you would
23 need Monitors at 30 locations to monitor what's
24 going on.

1 Q (Titus) Fair enough, but I would disagree with
2 your characterization that there will be no one
3 there to investigate environmental issues or
4 animals or that thing. We have to do that by
5 virtue of the fact that we have permit
6 conditions that require that. You know, any
7 sensitive areas, those are going to be known
8 about. Any issues that come up or present
9 potential issues to construction in terms of
10 rare species are going to be known about by the
11 contractors, by the Monitors, the Agencies know
12 about them because we submitted information in
13 that regard.

14 So I don't think that's a fair
15 characterization to say that we're not going to
16 be looking into those issues and carefully
17 monitoring work at all times wherever it's
18 occurring.

19 Q You're saying it's your position that there will
20 be a Monitor at every work site, a trained
21 Monitor, trained on identifying the snakes and
22 the birds and the plants.

23 A (Carbonneau) There won't be wildlife issues like
24 that at every site. So knowing where they are

1 is a very important part of the Project or where
2 they're most likely to be, and those locations
3 are going to be on the maps, there will be
4 specific BMPs associated with them, and the
5 specific credentials for a person to identify
6 those rare species will be tied into where that
7 work is taking place. But, you know, we're not
8 going to need a hog nose snake expert up in
9 Grafton County. They just don't occur there,
10 and that's not what we're saying.

11 Q But for the plants and animals that do occur in
12 Grafton County, it's your representation in
13 front of this Committee that there will always
14 be someone who has expertise in identifying that
15 when there's construction.

16 A (Carbonneau) If there's potential impacts to
17 that resource, then that person will be there.

18 Q And then as far as the drilling, the HDD
19 drilling that's occurring, as far as the
20 microtunnel, as far as the trenches that are
21 being built along the roads and along areas
22 where there's streams, there will be somebody
23 there to monitor the construction team.

24 A (Titus) That is going to be monitored, yes.

1 Q The question is how is it going to be monitored.
2 Not that it's going to be monitored. Because
3 the construction team's interpretation of
4 monitoring seems to be -- actually, I won't
5 characterize their testimony to you. That's the
6 issue is what exactly is going to be the
7 monitoring that occurs.

8 A (Titus) That planning is occurring.

9 Q Because there wasn't a Monitor where the
10 geoborings was occurring, correct?

11 A (Titus) That is correct.

12 Q I'd like to turn to an area called Beaver Pond.
13 Are you familiar with Beaver Pond?

14 A (Carbonneau) Yes.

15 Q And fair to say Beaver Pond is an area that has
16 been developed for tourism, correct?

17 A (Carbonneau) Yes.

18 Q We just, the State of New Hampshire just rebuilt
19 that whole area. The Appalachian Trail goes on
20 one side of it, and then the other side of it is
21 a parking facility that recently was upgraded
22 that can accommodate, I can't remember how many
23 cars. Twenty cars? That sounds about right?

24 A (Carbonneau) That sounds about right.

1 Q People can canoe there, they can fish there, and
2 the State of New Hampshire just paid for a new
3 bridge there, correct?

4 A (Carbonneau) I'm not aware about the bridge,
5 but, yes, it's a popular location.

6 Q And what testing was done there?

7 A (Titus) In what regard?

8 Q So as far as geoboring, was any geoboring done
9 there?

10 A (Titus) I don't know exactly.

11 (Exhibit 33 marked for identification)

12 Q So maybe one a little bit closer. This is
13 Terracon Report of Expected Geotechnical
14 Conditions, Northern Pass Desktop Review, A4-9,
15 and it's on the screen, but I'll give you
16 another one just so you have it.

17 And on this, it has a little green dot in
18 the map to show where borings occurred, but you
19 don't see any green dots here. So is it
20 possible none were done here?

21 A (Carbonneau) I don't know. I don't know
22 anything about this map. And I don't see any
23 green dots on it.

24 Q Okay.

1 A (Carbonneau) I think it's unlikely that borings
2 were not done somewhere in this area.

3 Q Fair to say there's a lot of bedrock there
4 though? Can we agree on that?

5 A (Carbonneau) I've not reviewed the geotechnical
6 borings so in the vicinity of the actual road
7 and road bed, I don't know what the findings
8 were, but I would agree that this is in the
9 mountainous portion of the state. Bedrock is
10 possible.

11 Q And if this map is accurate, not only is it
12 possible, it is completely surrounding Beaver
13 Pond in the roadway there.

14 MR. IACOPINO: Ms. Saffo, does the map have
15 an exhibit number? We can only see a part of it
16 on the screen. We can't see the key or legend
17 or anything.

18 MS. SAFFO: I apologize.

19 Q So in looking at this particular map, it
20 indicates that the red indicates bedrock. And
21 if you look at pictures of this area which
22 everybody has seen here, there's ledge, you can
23 see. It's like pretty obvious. There's a rock
24 climbing area across the road from Beaver Pond

1 that is a popular area for people to actually
2 rock climb. So there's actual ledge there.

3 So this is a high impact spot for tourism,
4 for the environment. Appalachian Trail goes
5 right there, and one side of the road you can
6 see Beaver Pond right here. And on the other
7 side, you see bedrock because that's where they
8 rock climb. You'd have to blast.

9 Is it fair to say that if you're going to
10 bury any of these lines in this area and if that
11 map is accurate as to bedrock, from an
12 environmental perspective, you're going have to
13 do some blasting, correct?

14 A (Carbonneau) I can't answer that question.
15 That's a question for the engineers and the
16 contractors. I don't have the geotechnical
17 information. I'm not qualified to review it. I
18 can't say for sure whether working in the road
19 bed there requires blasting or not.

20 Q Okay. So from an environmental standpoint, if
21 it does require blasting, is that an impact from
22 the environmental side of things?

23 A (Carbonneau) It's possible, but not if it's done
24 following all BMPs. We're not expecting

1 environmental impacts associated with blasting.

2 Q But if you weren't planning for environmental
3 impacts associated with blasting, meaning what
4 you're saying is that's a construction question,
5 you haven't evaluated the environmental impacts
6 of any potential blasting at this location,
7 correct?

8 A (Carbonneau) We don't know exactly where the
9 blasting is going to take place. We have
10 generally looked at the potential impact of
11 blasting on wildlife, for example. We have not
12 identified it on a location by location basis,
13 but environmental impacts that would be
14 associated with, for example, water quality are
15 part of the consideration of blasting, and there
16 are Best Management Practices that are supposed
17 to address that. And Jake can speak more to
18 that.

19 A (Titus) I'd like to add that John Kayser from
20 the Construction Panel did indicate sort of the
21 general approach to blasting. He also indicated
22 what would be included in blasting plans, and
23 these will be specific to every area where
24 blasting is going to be proposed. That hasn't

1 been worked out, as you know, so we don't know
2 what's going on in this particular location or
3 for that matter where blasting is going to occur
4 as the Construction Panel testified to.

5 But, as I said, the contractors are going
6 to be required to prepare blasting plans. So
7 that's going to cover things like well, what is
8 here environmentally, what are the potential
9 hazards, in addition to safety considerations,
10 storage of materials, and just the things that
11 go into blasting plans.

12 Q So you as the environmental team haven't
13 rendered an opinion on this one way or another
14 because you haven't gotten the information yet,
15 correct?

16 A (Carbonneau) We haven't gotten the exact
17 locations. We understand that blasting is sort
18 of a last resort. They want to do as little
19 blasting as possible on the Project. We don't
20 expect the quantities to be substantial in any
21 given location, but we don't know the exact
22 locations. That's part of the contractors and
23 the engineers to work out. But we do know that
24 there are requirements, that they comply with

1 regulatory standards for conducting that
2 blasting that should minimize and avoid
3 environmental impacts. It's standard
4 construction process.

5 Q Part of what the SEC has to do is determine the
6 environmental impacts, and as we discussed, the
7 SEC has to do a full and timely consideration of
8 environmental consequences. That's the law in
9 New Hampshire. Full and timely consideration of
10 environmental consequences be provided. And is
11 it fair to say that because everyone's telling
12 us they don't know where they plan on burying
13 the lines, it could be anywhere there because
14 what it has to be is can't be on the, has to be
15 on the road area. It can't go on the far side.
16 That in this very sensitive area in a high
17 tourism area the answer is we'll figure that out
18 down the road, and the construction and
19 engineers will do the best they can do. Is that
20 fair to say?

21 A (Titus) I think you need to acknowledge the fact
22 that we have a letter from the DES indicating
23 that we have met all of the requirements of
24 state law and that the permits issued for

1 wetlands and shoreland and for the 401 Water
2 Quality Cert and Alteration of Terrain Permit
3 include conditions that are attached that will
4 address those very issues that you're talking
5 about.

6 So from the DES's perspective, they know
7 that we're going to present additional
8 information. We're required to do so. There's
9 a whole bunch of plans that need to be prepared
10 90 days ahead of construction. That's when
11 they're due to DES, and as we've mentioned on
12 various occasions, the Project is continuing to
13 work towards those requirements.

14 Q That's DES's job, but the SEC's job is to
15 evaluate the environmental impacts, and the law
16 requires that the SEC obtain a full disclosure
17 of those impacts. Do you consider a full
18 disclosure to be the engineers and contractors
19 will figure that out down the road in this
20 sensitive, high tourism area? Is that a full
21 disclosure?

22 A (Carbonneau) I don't think that's a fair
23 characterization. We're not expecting
24 environmental impacts in this area. We are not

1 expecting the blasting to have environmental
2 impacts. There are methods that are industry
3 standards that minimize and avoid those kind of
4 impacts, and those will be employed.

5 Q But you're not expecting it, but you haven't
6 evaluated it because you haven't been given a
7 plan to evaluate.

8 A (Carbonneau) We've evaluated the Best Management
9 Practices as they've been provided by the
10 engineers and by the industry standards, the
11 industry experts, and those kind of things have
12 been evaluated by the national resource
13 agencies. They helped produce these Best
14 Management Practices because they know that
15 these have worked. It's not my job to
16 second-guess a blasting expert.

17 Q I'm not saying you're second-guessing a blasting
18 expert. I'm saying if land is going to be
19 disturbed by blasting that an environmental
20 person needs to analyze the impact of that
21 because the plans we've been given, that the
22 Public's been given, does say that where they
23 plan on digging is in between Beaver Pond and
24 the road. And it's not a little pond. This is

1 kind of more like a lake with an island in the
2 middle of it with the Appalachian Trail on one
3 side and parking for tourists on the other side.
4 And it is a stunning location. Blasting has got
5 to have an impact. To say blasting has no
6 impact and that horizontal drilling --
7 horizontal drilling can have impacts, correct?
8 Are you going to say horizontal drilling doesn't
9 have impact?

10 A (Carbonneau) Impacts are possible. It doesn't
11 mean they're probable. It doesn't mean they're
12 likely to happen.

13 Q We'll go into that in a second. This is Beaver
14 Pond right here. Here is a bridge. A large
15 bridge. A bridge that I will tell you was built
16 on top of bedrock because the bedrock was right
17 there. They actually poured the concrete on top
18 of it. So we know what the -- and then that map
19 tells us where the bedrock is. So I guess at
20 this point, I'll leave it at that. I think it's
21 pretty clear that you haven't been given a plan.
22 We've been given a plan, but we're told it could
23 change at any moment. They want approval and
24 then to be able to change it. And --

1 MR. WALKER: Objection.

2 PRESIDING OFFICER HONIGBERG: Is there a
3 question associated with this argument?

4 MS. SAFFO: No. I'll leave it there. I'm
5 going to grab one small thing.

6 Q So safety risk investigation of horizontal
7 direction drilling. What do you know about
8 potential environmental impacts caused by
9 horizontal directional drilling?

10 A (Carbonneau) I'll let Jake handle this one.

11 Q Yes. Sure.

12 A (Titus) During the process, there could be a
13 loss, what they call a loss of circulation.
14 There could be an issue called frackout.

15 Q Um-hum.

16 A (Titus) And this is during the drilling process
17 where the drilling mud could escape.

18 Q Um-hum.

19 A (Titus) Through interstitial spaces of the rock
20 or underlying material.

21 Q Um-hum. And so if this happens, what do you do?

22 A (Titus) Again, this is one of those areas where
23 the contractor is going to have detailed plans
24 on how to address these kind of issues. John

1 Kayser's testimony did present a general plan on
2 what is done in the industry. But ahead of
3 that, ahead of construction, they will also take
4 a closer look at individual locations and what
5 the issues are associated with these locations
6 in terms of potential risk to the environment,
7 in terms of difficulty of what they're doing.
8 They're going to fully assess each location on a
9 location by location basis so that they have
10 complete knowledge of what they're getting into.

11 Q So if there's a frackout though, there's not a
12 whole lot they can do, right? It's done.

13 A (Titus) If there's a frackout, you need to stop
14 what you're doing.

15 Q Yes.

16 A (Titus) And investigate what happened and
17 correct so that it doesn't continue to happen.
18 It may require in the very worst of situations,
19 and I know the Construction Panel was shown some
20 horrendous picture of some large river that
21 wasn't even in the northeast, but it was an area
22 where they had some cleanup equipment and
23 whatnot, and I also know that they indicated
24 that that would also be present at these

1 locations, cleanup equipment and approach to
2 dealing with any situation that does arise.
3 That's not a typical occurrence, okay? I mean,
4 this work is done all over the country. This is
5 done for installing various utilities, you know,
6 through the ground, underneath the ground,
7 underneath water resources in innumerable
8 locations.

9 Q Okay. I'd like to turn to the bunkers. So far
10 as the decommissioning plan from an
11 environmental perspective, what would you
12 recommend for a decommissioning plan for the
13 bunkers, the 30 foot by 8 foot by 8 foot
14 bunkers?

15 A (Carbonneau) I'm not familiar with the
16 decommissioning process or what's required. I
17 hope to be retired by then.

18 Q Do you know how many tax lots are directly
19 impacted by the 132 miles of the aboveground
20 lines that Northern Pass proposes to build?

21 A (Carbonneau) I'm sorry. You're asking how many
22 tax?

23 Q Yes.

24 A (Carbonneau) Different parcels there are in the

1 overhead line? I don't know that number off the
2 top of my head, no.

3 Q So similarly you wouldn't know how many tax lots
4 are impacted by the burial, the 60 miles of
5 burial, correct?

6 A (Carbonneau) Correct.

7 Q And so then obviously you'd leave it to the
8 outreach team as far as what outreach they've
9 done to these landowners, correct? But you
10 haven't done any?

11 A (Carbonneau) Well, if Abutter notification is
12 required under one of the Permit Applications,
13 then that was done. It's typically for a
14 wetlands permit not required for work within the
15 right-of-way, but for any work on any of the
16 nine site developments, where transition
17 stations or substation work or the converter
18 terminal is, then there is an abutter
19 notification requirement and it extends for, I
20 believe it's like a quarter mile around the work
21 area.

22 Q Were you asked to consider the environmental
23 impacts associated with burying the line down
24 Interstate 93?

1 A (Carbonneau) We were not asked to evaluate the
2 entire I-93 right-of-way. We were asked to
3 generally look from a high level using available
4 GIS information, for example, the potential
5 impacts of putting a line underground at the
6 outer edges of the right-of-way, and we did that
7 by looking at a few miles in two different
8 locations along I-93. I think I've previously
9 testified to that.

10 (Exhibit 35 marked for identification)

11 Q Okay. One last thing.

12 Mr. Bisbee on June 7, 2017, so quite
13 recently, sent to Ms. Monroe two standard
14 drilling and fill wetland applications for soil
15 test pits and one Shoreland Permit by
16 Notification for soil test pits recently
17 submitted to DES. Are you familiar with those
18 recent submittals?

19 A (Carbonneau) Yes.

20 Q And when you submit those, and I can mark a copy
21 of it as an exhibit, there are sometimes like
22 questions in there that you answer, correct?

23 A (Carbonneau) The Wetlands Application has a
24 series of what they call their 20 questions.

1 Q Yes. And then do you recall talking about the
2 Deerfield substation and the wetland impacts
3 associated with the Deerfield substation plans?

4 A (Carbonneau) What's your question? I'm sorry.

5 Q I apologize. So if you look at the Deerfield
6 substation plans, are you familiar with those?

7 A (Carbonneau) Yes.

8 Q It finds that most of the proposed wetland
9 impacts are for two stormwater ponds, 9,037
10 square feet and another one 19,196 square feet,
11 correct?

12 A (Carbonneau) This was in our original Wetlands
13 Application for the entire Project. This is not
14 associated with the Test Pit Applications that
15 were submitted recently which I thought you
16 were --

17 Q I apologize. This would be from the May 26th
18 report from 2016, correct? This question?

19 A (Carbonneau) I'm sorry. Now I'm confused.
20 Could you ask again?

21 Q I apologize. Let's just talk about the geofill
22 substation and not worry about which document.
23 So there is two stormwater ponds, correct?

24 A Yes.

1 Q And one is 9,000 feet and the other one is
2 19,000 square feet, correct?

3 A (Carbonneau) I don't know the exact numbers off
4 the top of my head, but I know there are two
5 detention basins planned.

6 Q And this would be naturally occurring wetlands,
7 correct?

8 A (Carbonneau) I believe those wetlands are
9 naturally occurring in those locations although
10 they may have been modified slightly by the
11 construction of the original substation. I
12 couldn't say for sure.

13 Q And fair to say impacts to naturally occurring
14 wetlands are normally not allowed, correct,
15 typically?

16 A (Carbonneau) You mean for stormwater?

17 Q Yes.

18 A (Carbonneau) It's the strong preference of New
19 Hampshire DES to not locate stormwater basins in
20 wetlands. That's true.

21 Q Do you think the substation could be shifted
22 further southwest to avoid the wetland areas?

23 A (Carbonneau) We brought this up to the
24 engineers, and they looked at this and

1 determined that was not possible.

2 Q Okay. That you would try to avoid impacting
3 wetlands at this site, but that you feel it's
4 limited in size and constrained by the wetlands?
5 Well, you tell me. Why did the engineers say it
6 wasn't possible?

7 A (Carbonneau) I couldn't tell you their exact
8 reasoning, but it has to do with how the
9 substation expansion aligns with the existing
10 substation because they get tied in together,
11 and getting access from the current substation
12 over to the expansion area requires crossing
13 wetland. There's a wetland in between them.

14 As far as how they designed the drainage of
15 the expansion area, they did the best they
16 could. They were able to redesign it to make
17 two detention basins instead of one and to move
18 them partially out of the wetlands as best they
19 could. So they did work on this for some time
20 but you'd have to ask the engineers specifically
21 if you wanted more information than that.

22 Q You need to go to the Wetlands Bureau for this,
23 to impact wetlands like this, correct?

24 A (Carbonneau) You need to go to the Wetlands

1 Bureau for any wetlands impact.

2 A (Titus) Can I interject?

3 Q Sure.

4 A (Titus) There was an explanation of why they did
5 what they did in one of the responses to a
6 question from DES in the original progress
7 report letter so I think that information is
8 already part of the record.

9 Q I believe that's under question 10, for the
10 record --

11 A (Titus) That sounds familiar.

12 Q -- from the May 26, 2016 report. And DES made a
13 request and Northern Pass basically said we
14 can't. And do you think there's kind of a
15 perception issue that it's like here's the rule,
16 this is what we want, and Northern Pass says
17 can't do it, we're doing our best, and that's
18 kind of the end of the discussion?

19 A (Titus) I don't think it's that. I think it's
20 as explained in that response that there are
21 constraints on that site. They have the need to
22 expand the substation. There's only so many
23 ways you can do it. It needs to be, the
24 equipment, needs to be aligned, and there's

1 certain considerations from an electrical
2 engineering perspective that drove that.

3 As Lee mentioned, you know, they did reduce
4 impacts from an original design. Unfortunately,
5 the remaining impacts are unavoidable, and
6 that's what we sought permission to do at that
7 location.

8 Q So my mom lives along the Mink Brook in Hanover,
9 and she recently wanted to do something on her
10 property so she had to go to the Hanover
11 Planning Committee because she lives along the
12 Mink Brook.

13 Do you think a citizen along a waterway,
14 whether it's upstream, the Mink Brook, Beaver
15 Pond, could say to the permitting agencies, I'm
16 going to tell you down the road what I'm going
17 to do, but can you approve it as long as I
18 follow Best Management Practices? Do you think
19 any citizen could do that?

20 A (Titus) I don't understand the question, quite
21 frankly.

22 Q In all your years of working with permits and
23 private entities and citizens, do you think a
24 citizen could ever come to a Board, be it the

1 Department of Environmental Services, be it the
2 local Planning Board, and say I'd like to do
3 this, and I'm not going to tell you exactly
4 what, I want you to approve it without me
5 telling you exactly what I'm going to do. But I
6 promise I'll follow Best Management Practices
7 and I'll do my best and I'm not going to harm
8 anything unless I can't avoid it otherwise, and
9 if I can't avoid it, then I'm going to harm it.

10 Do you think any citizen would get away
11 with that?

12 A (Carbonneau) I think New Hampshire DES has
13 certain standards. You have to meet certain
14 standards with your Permit Application. It has
15 to have enough detail for them to assess
16 impacts. It has to demonstrate that you've
17 avoided and minimized impacts to the maximum
18 extent practicable. If there are remaining
19 impacts that are unavoidable, and they meet a
20 certain threshold, then you have to develop a
21 mitigation plan.

22 I don't think that New Hampshire DES takes
23 those standards lightly. They apply them to
24 everyone equally, in my experience, and I've

1 worked for small homeowners, I've submitted an
2 Application myself for my own property, and I've
3 worked for large projects. And the standards
4 are the standards, and they have approved our
5 Permit Applications. They have found that we
6 have met the burden that they require which is
7 fairly substantial.

8 Q I'm not even --

9 A (Carbonneau) There's a lot of information here.

10 Q I'm not even beginning to say that DES would do
11 that. I believe they a hundred percent follow
12 their rules. That isn't even, that is not even?
13 a -- if I was interpreted that way, that is not
14 my intent of the question.

15 My intent is that civilians can't just say
16 we're going to keep modifying the plan of 192
17 miles long. They have go in front of Planning
18 Boards. They have to go in front of Towns. The
19 Towns want to know what the plan is. They don't
20 want to know that the plan is going to be
21 developed and changed down the road. They want
22 a design and a plan. And that's what my mom had
23 to provide. She had to provide a very clear
24 detailed plan. And she can't modify from that

1 plan. She can't say I'm giving you a rough idea
2 of what I'm going to do, and then down the road
3 the construction engineers are going to come
4 down. I'm also saying that the --

5 MR. WALKER: Mr. Chairman, I have to
6 object. This seems to be testimony, and to the
7 extent that there's a question, that question
8 has already come and been answered.

9 MS. SAFFO: I apologize. I guess my
10 question --

11 PRESIDING OFFICER HONIGBERG: You don't
12 have to apologize. Can you refine the question?

13 MS. SAFFO: Yes.

14 BY MS. SAFFO:

15 Q Do you think civilians and private projects also
16 have to go through planning boards and local
17 entities, and do you think Northern Pass should
18 as well?

19 A (Carbonneau) I think Northern Pass needs to
20 follow the requirements of a large energy
21 facility and that the SEC process does not
22 require that they get local approvals for the
23 Project. I understand that that's different for
24 projects that don't meet certain criteria to

1 bring them in front of the SEC.

2 Q But the SEC does have to have a full and timely
3 consideration of environmental consequences,
4 correct?

5 A (Carbonneau) Yes.

6 Q Thank you. No further questions.

7 MR. IACOPINO: Before you leave, that May
8 26, 2017, report you mentioned several times.
9 Do you have an exhibit number for that?

10 MS. SAFFO: I don't have an exhibit number,
11 but I have a copy that I can make, and I believe
12 I'm at GCC 24, but I wanted to confirm that
13 before we mark it, but it's, I have that packet
14 right here I can submit. And I have the Craig
15 Rennie letter so if I could just at the next
16 break try to give it the right numbers.

17 MR. IACOPINO: The other thing is you have
18 the map that you put up on the thing. That
19 should probably be marked as well. And perhaps
20 you can do that during the break, and we can
21 read those into the record at some point later.

22 MS. SAFFO: I will do that. Thank you.
23 I'll leave them right here.

24 PRESIDING OFFICER HONIGBERG: Off the

1 record.

2 (Discussion off the record)

3 MR. WALKER: Mr. Chairman, I just want to
4 point out, and I should have pointed this out at
5 the very outset. I mentioned it to Ms. Monroe,
6 scheduling conflicts and trying to juggle the
7 different conflicts. Mr. Magee cannot be here
8 on Monday. So if this goes into Monday, I would
9 suggest that if questioners have questions for
10 Mr. Magee today or otherwise we'll accommodate
11 and have him come back, but if that can happen
12 today, and the same goes for Mr. Varney as well.
13 And I understand that we may get to the Panel
14 asking questions today, and Mr. Varney has a
15 conflict that's going to require him to leave at
16 3 today. So if the Panel has questions for
17 Mr. Varney or others, if that could be moved up,
18 we'd appreciate it.

19 PRESIDING OFFICER HONIGBERG: So what we'll
20 do is we'll continue to work through the list
21 which really should get us, we should get
22 through the remaining Intervenors' questioning
23 and get to the Committee. What we'll do at the
24 break is check with Committee members as to who

1 has questions for Mr. Varney and Mr. Magee, and
2 make sure that we get to them today.

3 MR. WALKER: Thank you.

4 PRESIDING OFFICER HONIGBERG: If at all
5 possible.

6 MR. WALKER: Thank you.

7 PRESIDING OFFICER HONIGBERG: Next up is
8 Mr. Thompson.

9 **CROSS-EXAMINATION**

10 **BY MR. THOMPSON:**

11 Q Good morning. My name is Brad Thompson. I'm a
12 resident of Stewartstown, New Hampshire, and I'm
13 spokesman representing the Abutters and
14 Non-Abutters of Pittsburg, Clarksville, and
15 Stewartstown.

16 I have three different subjects I'd like to
17 move on and move as quick as I can, and they all
18 are related to the dirt roads of, in particular,
19 Clarksville, Pittsburg, and Stewartstown. So if
20 you could kind of focus on those roads.

21 Is it safe for me to assume and almost, in
22 fact, all of my questions and comments would go
23 to you, Ms. Barnum and Mr. Tinus. So the
24 question is, are you familiar with the roads,

1 town roads of those three towns.

2 A (Tinus) I've driven those roads two-plus years
3 ago now.

4 Q Ms. Barnum?

5 A (Barnum) I'm familiar with the road that the
6 Project crosses, yes.

7 Q Pardon?

8 A (Barnum) I'm familiar with the roads in the
9 towns which the Project crosses.

10 Q Okay. Thank you. Mr. Tinus, do you know what a
11 "no road" is?

12 A (Tinus) No.

13 Q If I told you it was a road not built, does that
14 make sense to you yet?

15 A (Tinus) I've heard of the term paper road.
16 Perhaps that's similar.

17 Q The best, if I can, I'd like to use the
18 definition for a no road. Typically, it's a
19 dirt road that has never been, had preparation
20 in it for being built as a road. It has stumps,
21 possibly stumps and roots sticking out of the
22 road, possible obvious ledge outcroppings
23 sticking out of the road, possible water
24 permeating out of the road in the middle and

1 sides. Typically, it probably follows some kind
2 of natural resource like a brook, a river, a
3 ridgeline, even a stone wall where a field was
4 built first. What are really defined are the
5 roads of the North Country, and in particular
6 Pittsburg, Clarksville, and Stewartstown. Can
7 you accept that as a fairly good definition of
8 the roads you saw when you were up there?

9 A (Titus) I don't think I drove on any of those
10 types of roads. I do recall seeing one or two,
11 but I don't know that that's a typical road in
12 the North Country, if you will.

13 Q Typical of, in particular, Old County Road in
14 Clarksville and Stewartstown and then North Hill
15 and Bear Rock Roads in Stewartstown which is an
16 area that the buried cables will be in.

17 A (Titus) My recollection was they were
18 gravel-covered roads for the most part. Dirt,
19 gravel, loose material.

20 Q Yes.

21 A (Titus) Whether they had stumps and other
22 bedrock outcroppings, I didn't see any of those.
23 I didn't see any water running across the roads
24 when I was there.

1 Q Okay.

2 A (Titus) I was there in the spring, too, by the
3 way. So May/June time frame.

4 Q Really. Nothing special you remember about the
5 roads then?

6 A (Titus) It was perhaps a drier year.

7 Q Okay. Thank you.

8 A (Titus) I'm aware of mud season.

9 Q I know we've beat this drum pretty hard, but I
10 need to revisit the thermal, fluidized thermal
11 backfill issue for a couple minutes.

12 There's been vagueness as to understanding
13 exactly how deep the ditches are going to go,
14 and I know the DOT has indicated that they'd
15 like to go deeper in the State roads, but it's
16 been unclear as to whether that's going to occur
17 in these town dirt roads. In particular, in
18 Stewartstown and Clarksville. The detail up
19 here, this is from the Application. The
20 Northern Pass Application. And it's a fairly,
21 meant to be a fairly typical detail of what's
22 happening, and I want you to focus just simply
23 on the material underlying, the two things
24 underlined. I think, yes, I did. Fluidized

1 thermal backfill. You can see that there's an
2 infill around the 8-inch conduits that hold the
3 transmission cables. Then there's a 6-inch
4 poured concrete protective slab, and then more
5 thermalized, FTB, up to within whatever the
6 preparation is for the road. In this case, we
7 expect that top layer would be 6 inches of
8 gravel to finish off restoring the dirt road.
9 And I know there seems to be contradiction, but
10 does though look like what you would expect to
11 is supposed to be happening?

12 A (Titus) Yes. That's what's represented here,
13 and I've seen these plans before.

14 Q Okay. My question has to do with the
15 permeability of this fluidized backfill and what
16 happens when this material is installed in a
17 ditch that's dug, whether it's dug 5 feet deep,
18 6 feet deep, 7 feet deep it's going to be
19 brought back up with these materials all the way
20 to within 6 inches. We have, because it's a "no
21 road" and lousy preparation, if none, and by the
22 way, another trait of those no roads is there's
23 no drainage ditches on the side. Typically,
24 it's carved into whatever the existing

1 conditions might be. If it's coming off
2 traversing a hillside, the grade will come down
3 the road, the no road is there, then it drops
4 off on the other side. So, you know, whatever
5 the conditions were that presented this.

6 So in many cases, there's water,
7 groundwater, moving through the soils of that,
8 of the road underneath the road, and the concern
9 is what happens when this material is installed
10 to block the movement of that water and change
11 the nature of that dirt road, of these dirt
12 roads in Stewartstown and Clarksville. How
13 would you expect the road to react once this
14 ditch is installed and the FTB is there?

15 A (Titus) The fluidized thermal backfill, my
16 understanding is there's some permeability
17 associated with that. I'm not an engineer, but
18 I know what I know from speaking with the
19 engineers and looking into the issue, that layer
20 of material that you're describing as well as
21 the subbase of the road is not expected to
22 prevent water from flowing. It's to allow water
23 to flow, will allow water to flow through it.

24 Q It will.

1 A (Titus) To some degree. Yes. Right.

2 Q Have you ever asked for or seen testing of this
3 backfill to satisfy the question that certainly
4 needs to be asked of water is coming off the
5 hill, is it going to go through that three feet
6 or whatever it is, two-foot-9-inch wide of FTB
7 or is it going to work its way up the side?
8 Certainly we all recognize, I believe, if you'll
9 agree that water will seek its avenue of least
10 resistance; hence, the idea of a French drain.
11 Have you seen tests, have you seen it
12 demonstrated, do you know that it works?

13 A (Titus) I have not. I think that's a question
14 better asked of the engineers. They would be
15 familiar with that. This product is used in a
16 lot of places in the country so it's not
17 something that wouldn't have been encountered
18 before, and the engineering would account for
19 that.

20 Q Agreed that it's used in a lot of places. It's
21 become, we've heard from the construction
22 committee that it's almost universal in terms of
23 by Eversource of use in the coating around to
24 dissipate the heat of cables.

1 Have you ever seen this particular
2 situation in a dirt road, and can you tell me
3 where in all your years of working with
4 stormwater drains? Of a particular dirt road?

5 A (Tinus) I haven't personally, no.

6 Q Anyone on the board think of a Project that --

7 A (Carbonneau) I have not worked on an underground
8 cable project in a gravel road before.

9 Q Do you feel like we may be guinea pigs in this
10 process? I mean, are we traveling unexplored
11 territory? Are we going to end up with a road
12 that's not going to be the way it was before?

13 PRESIDING OFFICER HONIGBERG: You want
14 answers to each of these three questions?

15 MR. THOMPSON: Sure.

16 A (Tinus) Do I feel you're going to be guinea
17 pigs? No. I think DOT has asked for some
18 testing of this product. I don't know the
19 status of that. They asked for proof that it
20 would work. I don't know the status of that.
21 But my understanding is that all signs are
22 pointing that it will be used in the trenches,
23 and, again, it's been used in a lot of
24 applications.

1 I'm not sure what your second question was.

2 Q I forgot. I know it was important though.

3 A (Titus) I'm sure it was.

4 COURT REPORTER: Question: Do you feel
5 like we may be guinea pigs in this process? I
6 mean, are we traveling unexplored territory?
7 Are we going to end up with a road that's not
8 going to be the way it was before?

9 PRESIDING OFFICER HONIGBERG: Mr. Titus, I
10 think, is going to take on the second two
11 questions.

12 A (Titus) Right. So no, we're not in explored
13 testimony, as I've mentioned. This is used all
14 over the country. This flowable fill. Goes by
15 different names. Fluidized thermal backfill,
16 flowable fill, low strength concrete material.
17 There's a number of different formulations and
18 varieties. But again, it's used everywhere
19 around the country.

20 Q I totally understand that. But you didn't
21 answer the question.

22 A (Titus) You said uncharted territory. It's not
23 uncharted. It's clearly been charted because
24 it's used everywhere.

1 Q I asked Mr. Ken Bowes of the Construction at an
2 earlier deliberations, and I also asked expert
3 for the Public, Rusty Bascom, and neither of
4 them were able to come up with 320 kV buried in
5 a dirt road. Town dirt road. Plenty of them
6 with asphalt on top and the asphalt, can we
7 think that maybe that's hiding what may be
8 occurring underneath is my thought, but I really
9 just have to wonder if -- many of the people
10 have made the statement they'll return our town
11 roads to as good or better condition as before
12 they started construction. Are we sure?

13 A (Titus) That's a firm commitment by the Project
14 to do so, yes. You heard that from Ken Bowes,
15 you heard that from Construction Panel. If
16 there's any damage, it's going to be corrected.
17 Clearly that's not, we don't want to damage
18 anything during the course of this Project.

19 Q My concern, and your thoughts on it are, is it
20 possible to correct this problem once it's
21 created?

22 A (Titus) I feel the engineers are going to have
23 enough information in designing this that
24 they're going to prevent that. That's what I

1 feel.

2 Q Okay. I appreciate that, and I certainly hope
3 so. Thank you.

4 Okay. Again, Mr. Tinus. Are you aware,
5 are you familiar with the location of Transition
6 Station No. 4?

7 A (Tinus) I am.

8 Q It's basically at the juncture of Bear Rock Road
9 and Heath Roads where we go from underground to
10 overhead, right?

11 A (Tinus) Um-hum.

12 Q Are you aware that as we come up Bear Rock Road,
13 my property in Stewartstown borders one side of
14 Bear Rock Road for 12, 1300 feet. Take it that
15 it does. If you'd accept that, I'd appreciate
16 it.

17 A (Tinus) Yes.

18 Q And also on the property, I have three glacial
19 spring water wells, and when I bought this
20 property in 2007 inherited these glacial spring
21 waters, and now inactive but back a couple
22 decades ago active supplier of glacial spring
23 water. Are you aware of that at all? Has
24 anybody happened to --

1 A (Titus) I believe you've expressed that
2 previously either to the Construction Panel -- I
3 can't remember where I read that.

4 Q Just to give you a little detail, are you aware
5 of the fact that the three wells are presently
6 dumping 42,000 gallons of what is considered to
7 be very pristine glacial spring water on the
8 ground every 24 hours? And it quickly makes its
9 way into the west branch of the Mohawk River?

10 A (Titus) I did not know that.

11 Q Are you aware of the fact that the centerline of
12 the three wells is 412 feet from the centerline
13 of the Bear Rock Road at the closest point where
14 the cables are being buried?

15 A (Titus) That figure sounds familiar. I believe
16 an engineer had mentioned that to me.

17 Q And a second distance is the centerline which I
18 picked out of Transition Station 4 to the
19 centerline of the three wells is roughly 1120
20 feet by GPS.

21 A (Titus) Okay.

22 Q Good. Glacial spring water well is like a
23 spring. Can you describe what a spring is
24 versus, for instance, an artesian well in terms

1 of how it -- how does that 42,000 gallons get to
2 those wells every day?

3 A (Titus) Without looking specifically at that, I
4 don't really know, but a spring is an expression
5 of ground water at the surface. That I can tell
6 you. An artesian well is under pressure. It's
7 a layer that's restricted so it has significant
8 pressure.

9 Q Right. It goes straight down into the veins for
10 artesian well.

11 A (Titus) Right.

12 Q Information that I've read, the veins of glacial
13 spring water working their way through to
14 whatever the well location is are veins of water
15 either near the top of the surface or in the
16 subsurface, whether it's two feet down or
17 whatever, and coming from some place, typically
18 a higher elevation. That is something, can you
19 generally agree with that?

20 A (Titus) That sounds correct.

21 Q Good. Monday you made a statement to somebody
22 questioning you that the amount of blasting
23 that's going to occur is not significant on this
24 Project. Do you remember that?

1 A (Titus) Correct.

2 Q And Ms. Carbonneau, you mentioned this morning
3 that there's minimal amount of blasting and try
4 to work around it and any way you can stay away
5 from it would probably be a good idea. Is that
6 generally what you said?

7 A (Carbonneau) Yes. The Project's goal is to
8 minimize the amount of blasting required.

9 Q There are many, a handful of different things
10 that can occur when blasting is being used of
11 different things that can occur that would
12 affect water. Groundwater, stormwater,
13 drainage, whatever. We've talked about
14 nitrates, faulty blasting that doesn't all
15 ignite. The coating that appears on different
16 rock formation as it's blasted out. Are these
17 all potential or problems that do or can occur?

18 A (Titus) That's what the literature says,
19 correct, yeah.

20 Q So this leads up to the real concern here. Are
21 you aware that Transition Station 4, the
22 Applicant has indicated by question and their
23 answer that there's going to be 30,000 cubic
24 yards of blasting to occur in order to prepare

1 site Transition Station 4?

2 A (Titus) I didn't know the specific amount.

3 Q Neither did I. And that's why I asked the
4 question and got the answer. I knew from trying
5 to estimate that there was a sizable amount, but
6 I didn't realize how much. We've got -- have
7 you seen the plans for the site Transition
8 Station No. 4?

9 A (Titus) Yes.

10 Q The final product?

11 A (Titus) Yes.

12 Q Have you noticed the cut into the hillside? Do
13 you remember any of those details?

14 A (Titus) Yes.

15 Q Or the possible cut between existing condition
16 and final conditions as far as the site?

17 Do you feel that proper concern was taken
18 in selecting this site location of Transition
19 Station 4? Not that you have control over where
20 it goes but maybe input in terms of the blasting
21 situation and the effect on water?

22 A (Titus) I think the selection of the site based
23 on a number of considerations which others have
24 testified to in terms of managing the blasting

1 though, you know, I've mentioned as well as
2 others that there's going to be proper
3 procedures in place, best Management Practices
4 that are going to prevent any problems from
5 occurring in that location. And again, as Lee
6 mentioned and I mentioned earlier, it may be
7 they're saying that this rock needs to be
8 removed, but maybe not all of it needs to be
9 blasted. They may be able to hoe ram it. I
10 don't know specifically, but there's other
11 methods that they can use for removing rock.

12 Q I asked about blasting. I didn't ask about
13 ramming. Beating it up. This was blasting.
14 30,000.

15 A (Tinus) Just says removed in the -- doesn't say
16 blasting. It says provided total cubic feet
17 allegedly removed in order to prepare the site.
18 So doesn't specifically mention blasting.

19 Q Okay. I think that's -- are there any other
20 ways of removing solid ledge than either
21 blasting or using a ram that you know of?

22 A (Tinus) I think there's something called
23 chiseling. There's other words for it. Where
24 they sort of flake it off somehow. Drilling

1 smaller holes and then using equipment to remove
2 it.

3 Q Yes. Chiseling.

4 A (Titus) There's other terms for it.

5 Q Okay. Thank you. Ms. Barnum. Third topic.
6 Could you define what a deer yard is?

7 A (Barnum) It's, I believe I've discussed this
8 topic before. It's an area where deer will
9 spend the winter or part of the winter when
10 conditions meet a certain standard, generally
11 speaking deer yards have coniferous cover.
12 Coniferous cover has benefit holding snow off
13 the ground so snow depths are lower within a
14 deer yard. They also provide other thermal
15 benefits in terms of breaking the wind so the
16 conditions are less harsh. Temperatures be a
17 little warmer due to the cover.

18 Most deer yards also have a component where
19 there's browse. Deer like to browse on some of
20 the softwood species that provide the overhead
21 cover, but there might also be some hardwood
22 species there that they're browsing on.

23 Q So probably two of the most critical criteria
24 are a shelter and bedding area and a source of

1 food?

2 A (Barnum) That's correct.

3 Q Deer paths where they'll move from one area to
4 another for their feed to where they're bedding?

5 A (Barnum) If the snow is relatively deep and
6 there's enough deer in the yard, trails often do
7 develop, and that also provides benefits to the
8 deer because it's easier to walk on the
9 compacted trails rather than through the snow.
10 But that's not a feature that's there until the
11 deer get there and create that network of
12 trails.

13 Q If you were to step into a deer yard, what would
14 be 2 or 3 of the first things you'd recognize?

15 A (Barnum) When I am looking for the
16 characteristics that define a deer yard, I look
17 at the overhead cover, I consider the slope and
18 exposure, and then I also look for sign of
19 historic browse. The browsing that the deer do
20 over the wintertime tends to leave permanent
21 deformation to the vegetation that's easily
22 identifiable in any season.

23 Q So the lower limbs are as high up as on whatever
24 vegetation it is that they can reach depending

1 on the snow depth?

2 A (Barnum) Yes. Looking at the bark on the trunk
3 of the trees is definitely the best way to do
4 it, though.

5 Q Deer poop?

6 A (Barnum) Yes.

7 Q Lot of it.

8 A (Barnum) The pellet groups that accumulate are,
9 again, as I've covered before in the wintertime,
10 because they're browsing on woody vegetation,
11 the pellet groups created in winter or produced
12 in winter are distinctive, and they do persist
13 from winter. So even when you enter a deer yard
14 during the summertime, you can identify those
15 pellet groups on the ground.

16 Q In your Prefiled Testimony, you stated on page
17 2, the October 16th Prefiled Testimony, that you
18 have walked or traveled the majority of the 192
19 miles of the Northern Pass Transmission line?

20 A (Barnum) That is correct.

21 Q And one of things you were probably focusing at
22 least a little on were deer yards?

23 A (Barnum) Yes.

24 Q Page 10 of 12 in your testimony, you mentioned

1 that the transmission line intersects 17
2 different deer yards.

3 A (Barnum) That's correct. I also submitted a
4 correction to my testimony that it actually
5 intersects 18.

6 Q And that you spent time with New Hampshire Fish
7 & Game people on defining these deer yards and
8 where they were?

9 A (Barnum) I reviewed the New Hampshire Fish &
10 Game's mapping of deer yards, and I spoke to the
11 Deer Project Manager.

12 Q Who was that? Will?

13 A No. Will is not the Deer Project Manager. The
14 person who I spoke to is retired now. I'm not
15 going to recall his name.

16 Q I'd like focus in on one deer yard. The one
17 between entry into Canada, from Canada, Halls
18 Stream, and over the ridge to Old County Road
19 and down to Transition Station 4. Are you
20 familiar with that?

21 A (Barnum) Transition Station 4?

22 Q I'm sorry. 1?

23 A (Barnum) Yes. I am.

24 Q Thank you. Did you hike over that ridgeline of

1 where that deer yard --

2 A (Barnum) Yes.

3 Q Did you find that whole area to be deer yard?

4 A (Barnum) Yes. The line, the right-of-way passes
5 through an area. It's sort of the southern end
6 of that parcel. And that's definitely deer
7 yard. And then if you continue on, there's a
8 steep, almost cliff-like area sort of running up
9 the eastern side of that parcel which is all
10 deer yard, and then up on top of the hill as
11 well. It's very, relatively extensive. I would
12 also characterize that as a Moose Concentration
13 Area. There's abundant sign of both moose and
14 deer use during the wintertime throughout that
15 parcel.

16 Q Yes. So it's an obvious, well-used winter
17 yarding area.

18 A (Barnum) That's correct.

19 Q Okay. I think most everybody understands where
20 this is, but it just going to put up the plan to
21 just to describe that. Just to orientate
22 everybody, here we are in Canada.

23 PRESIDING OFFICER HONIGBERG: Point to the
24 map. Not to the screen.

1 MR. THOMPSON: I'm sorry. Thanks. Thank
2 you, sir.

3 BY MR. THOMPSON:

4 Q Canada, Halls Stream, Halls Stream Road comes
5 across, this by the way right here is Vermont.
6 So we've got, we're right in that famous corner
7 between Canada, Vermont and New Hampshire. And
8 this is two and a half miles of the power line,
9 cross to Transition Station 4, Connecticut
10 River, Old Canaan Road. Transition Station 1.
11 I'm sorry. And then the HDD under Route 3. And
12 that is considered and called roughly two and a
13 half miles. Two and a half miles of power line
14 from Halls Stream to number 1 Transition
15 Station.

16 Deer are habitual to the point that they
17 return to the same deer yard every winter,
18 generally speaking?

19 A (Barnum) Generally speaking, that's what you see
20 in the literature.

21 Q And they'll travel up for many miles, and I've
22 read as much as 20 miles --

23 A (Barnum) That sounds reasonable.

24 Q -- to go back to their same deer yard.

1 The area where the power line is going to
2 be put by definition is roughly give or take
3 130-foot wide clearcut for two and a half miles.
4 Would you say it's kind of, for lack of a better
5 word, cutting through this deer yard?

6 A (Barnum) I would characterize the location of
7 the right-of-way relative to the deer yard which
8 does run northwards quite extensively as at the
9 edge of the deer yard. The right-of-way will be
10 about, will be 120 feet wide. So there will be
11 a clearcut at the edge of that deer yard. This
12 deer yard is on a parcel which is going to be
13 part of the mitigation plan the parcel is over
14 100 acres in size. I'd say the deer yard takes
15 up at least two thirds of it. This yard
16 currently is subject to logging. Unrestrained
17 logging, unrestricted logging. If you walk
18 through the area it's obviously been logged
19 recently. It's regenerating.

20 Once this parcel is placed into mitigation,
21 the management that will be applied to it will
22 be applied specifically to maintain the
23 characteristics and benefits that the deer yard
24 provides. So while there will be some loss of

1 deer yard here to the right-of-way, the fairly
2 extensive remaining area will be managed such as
3 to provide benefits and compensation for what's
4 going to be lost here.

5 Q Is there a winter Ski-Doo trail that cuts up
6 over the ridge on this property? Are you
7 familiar with that?

8 A (Carbonneau) Yes. There is an existing trail.

9 Q And that certainly would allow someone like
10 myself who's probably not going to put snowshoes
11 on and hike up through there in the winter to
12 get a pretty good view of what is going on up on
13 the ridgeline, in particular, if there are deer
14 up there and if they're feeding or whatever?

15 A (Barnum) I can't speak to what you might see
16 from the back of the snowmobile while you're out
17 riding.

18 Q But you hiked it and you saw signs of deer yard
19 in the summer season.

20 A (Barnum) I did not hike in the location where
21 the Ski-Doo trail was. I knew there was one up
22 there somewhere. But when I hiked last June,
23 there was distinct sign of deer and moose use.

24 Q How disruptive is cutting 130 feet clearcut to

1 put in towers to a deer yard, whether as you
2 call it going around the edge of it or as what
3 may be the case where if it's between where deer
4 are sheltering and where they're feeding, and
5 that possibly clearcut bisects that, how
6 detrimental to that deer yard and how will it
7 affect the deer?

8 A (Barnum) The existing right-of-way passes
9 through numerous deer wintering areas. In my
10 work for the Project, I walked many of these
11 areas repeatedly in the wintertime. I observed
12 deer within the right-of-way. I observed
13 numerous deer trails crossing the right-of-way,
14 and you could see that there was browsing going
15 on on both sides of the right-of-way. There is
16 no doubt some disruption from adding this
17 feature to a deer yard. However, my
18 observations in the existing deer yards with the
19 existing right-of-way indicate that the deer are
20 continuing to use those areas and presumably
21 finding benefit since they're continuing to use
22 them.

23 Q The added feature of the clearcut of an area
24 like that with the winter conditions in the,

1 particularly in the North Country, where
2 typically snowstorms are more light snow because
3 of colder weather, does that lead to drifting
4 that can affect the traveling of the deer where
5 it would not occur if the clearcut was not
6 there?

7 A (Barnum) The observations I made were within the
8 North Country, and the deer were, like I said,
9 traversing the right-of-way. There were trails
10 back and forth. So whatever the conditions
11 were, they were not preventing the deer from
12 moving across the right-of-way.

13 Q Okay. That's it. Thank you.

14 PRESIDING OFFICER HONIGBERG: All right.
15 I'm now decidedly less optimistic that we're
16 going to get to the Committee this afternoon.
17 We're going to take our break and we'll be back
18 in 10 minutes. Off the record.

19 (Discussion off the record

20 (Recess taken 10:42 - 10:52 a.m.)

21 PRESIDING OFFICER HONIGBERG: Deerfield
22 Abutters with Ms. Menard and company.

23 **CROSS-EXAMINATION**

24 **BY MS. MENARD:**

1 Q Good morning. Jeanne Menard from Deerfield with
2 fellow Abutters, and our first topic this
3 morning concerns impacts to wildlife.

4 I'd like to start with Table 14 which is a
5 Summary of Impact Risks.

6 On the next page, actually, the risks are
7 defined so I just want to take a peek at "low."
8 What does it mean to have a low impact? And you
9 can see from the bottom there, that low reads
10 the effect is limited to individuals and that
11 there's no population level effects. Is that
12 correct?

13 A (Barnum) Yes. That's correct.

14 Q Okay. So back to the first page where your
15 testimony that construction of Northern Pass
16 Transmission will have a low risk of direct
17 mortality on the Blandings, spotted and wood
18 turtles, correct?

19 A (Barnum) Correct.

20 Q And similarly, in the next column, your
21 testimony is that the operations and maintenance
22 of NPT will also be considered a low risk of
23 creating any population level effects.

24 A (Barnum) That's correct.

1 Q Okay. What is the basis of your low impact risk
2 rating on these species of concern?

3 A (Barnum) For construction, the basis is that the
4 avoidance and minimization measures that will be
5 implemented will include searching for and
6 removing these species from the right-of-way
7 prior to construction activities.

8 For the operations and maintenance, that
9 conclusion is based on the fact that the line is
10 currently in operation and operations
11 maintenance activities are routinely conducted
12 within the existing right-of-way, and there are
13 populations of all three of those turtles
14 currently in and around the existing
15 right-of-way.

16 Q Thank you. Can we take a look at Table 1 which
17 is from the Applicant's Application, Appendix
18 36? Turtles were given a high potential or
19 likelihood for being present in the Project
20 area.

21 A (Barnum) That's correct.

22 Q And what information did you have to determine
23 that the turtles were likely to be in the
24 right-of-way?

1 A (Barnum) The right-of-way currently provides
2 important resources to these species.
3 Specifically, the right-of-way because it's
4 cleared provides thermal benefits, good place to
5 bask, and because it provides thermal benefits
6 there's also potential for nesting to take place
7 in the right-of-way. Turtles nests need a
8 certain amount of insulation, sunshine to warm
9 them up and get the eggs to grow. It's not the
10 right word. Develop. Thank you.

11 Q Okay. So it was because of the suitable habitat
12 and their known distribution that you decided to
13 search, do a survey between Allenstown and
14 Deerfield; is that correct?

15 A (Barnum) The assessment for turtles was looking
16 primarily -- because we assumed then to be
17 present within the right-of-way based on their
18 known distribution and habitat needs, the
19 assessment that was done in the right-of-way was
20 focused on nesting habitat, and we spoke with
21 Fish & Game about our approach, and they agreed
22 that this was a good way about going about
23 looking at the resources that might be important
24 to turtles.

1 So we did a modeling exercize. We looked
2 at soils and distance to potentially appropriate
3 water bodies for these species. We identified
4 all the locations within the right-of-way from
5 the Canterbury/Northfield line south which might
6 have potential nesting habitat and then we did a
7 spot assessment of those areas so it included
8 more than Allenstown and Deerfield.

9 Q Correct. Can we take a look at Deerfield
10 Abutter Exhibit 44? Are you familiar with the
11 status assessment for Blanding's turtle in the
12 northeast, this document?

13 A (Barnum) I've reviewed it. Not in great detail,
14 but I'm familiar with the document.

15 Q Okay. I'll represent to you that we'll refer to
16 this as the Compton report. Let's look at Table
17 8 on the next page, and this was in our
18 Deerfield Abutter Prefiled Testimony as part of
19 the report.

20 This is a population model, and I'd like
21 for everyone to take a look at Figure 8 at the
22 bottom. I'll give you a minute to just kind of
23 take a look at it.

24 Do you agree that, according to this model,

1 it would take only 4.6 generations with an
2 annual 2 percent adult mortality rate to reduce
3 the population of Blanding's by 90 percent?

4 A (Barnum) That is what this table indicates, yes.

5 Q Okay. From the New Hampshire Wildlife Action
6 Plan which is the next one, Jo Anne.

7 You are familiar with the New Hampshire
8 Wildlife Action Plan?

9 A (Barnum) Yes, I am.

10 Q Okay. It reads that small increases in annual
11 adult mortality, as little as 2 to 3 percent,
12 especially among females, can have a
13 catastrophic effect on populations.

14 Do you have any reason to disagree with
15 these findings?

16 A (Barnum) I haven't reviewed the methodology or
17 the assumptions of these models, but I'll agree
18 with them.

19 Q Okay. And Deerfield Abutter Exhibit 104 which
20 is the magazine, the New Hampshire Wildlife
21 Journal, this journal was published in May/June
22 of 2014, and there is an article which, Jo Anne,
23 can you turn to?

24 And we'll read from the section, actually

1 would somebody, Dr. Barnum, would you mind
2 reading the underlined two sentences from the
3 section called Every Turtle Matters?

4 A (Barnum) It reads, for these reasons, scientific
5 models have predicted that the yearly loss of
6 just a couple of Blanding's turtles will
7 eventually lead to that population disappearing
8 all together. This rate of loss is likely
9 occurring or has been exceeded in much of the
10 developed landscape of southeastern New
11 Hampshire.

12 Q Thank you. And similarly, there is a local
13 newspaper article from The Hippo, and that's
14 Deerfield Abutter Exhibit 103, and I'll
15 represent to you that a New Hampshire Fish &
16 Game wildlife biologist raises the same concern
17 about the loss of individual wood turtles and
18 its effect on the larger turtle population. As
19 we discussed earlier, you acknowledge, Dr.
20 Barnum, that there is a risk of direct mortality
21 to turtles during construction. Is that
22 correct?

23 A (Barnum) That is correct.

24 Q Jo Anne, can you pull up the Appendix 36? The

1 Exhibit, thank you.

2 So there are impacts to this species, both,
3 you've identified four different types of
4 impacts, and construction, as we've just stated,
5 that the individuals of mobile species and
6 direct mortality to individuals of smaller lower
7 mobility species. So turtles are in that
8 category, is that correct?

9 A (Barnum) Where are you quoting from?

10 Q Right here. Did I see that in the third?

11 A (Barnum) Yes. I do.

12 Q Okay. And then, similarly, you'll see in the
13 maintenance section, the underlined section,
14 that these types of impacts concurrently occur
15 in the existing right-of-way as you've just
16 stated. You mentioned that. And that there are
17 around, and these right-of-ways are around the
18 state and they have been developed. I'm
19 thinking there's a missing possible, maybe BMPs
20 have been developed or can you fill in,
21 something has been developed to be in compliance
22 with all the applicable regulations to minimize
23 impacts to natural resources in general.

24 A (Barnum) Yes, it would appear that BMPs, yes.

1 Q Well, my question is, specifically, what
2 measures are being practiced in the right-of-way
3 today to avoid direct mortality to endangered
4 turtle species?

5 A (Barnum) Within the right-of-way today, I'm not
6 sure that there are any specific measures being
7 taken. One of the avoidance and minimization
8 mitigation measures that will be adopted as part
9 of this Project is to implement vegetation
10 management that is designed to reduce mortality
11 to turtles based on seasonality of mowing,
12 pattern of mowing, the kind of equipment used,
13 height of mowing, et cetera.

14 Q Would you agree that direct mortality to any
15 species is not -- it wouldn't be appropriate to
16 classify that as a temporary impact?

17 A (Barnum) To that individual, it is obviously
18 permanent, but to the population as a whole, if
19 there's no population level effect, then you
20 can't quantify it as a permitted impact to that
21 population.

22 Q Okay. Do you agree with the following
23 statement? And this statement was, can you put
24 up Exhibit 6? The Compton report summary.

1 Can you read the summary statement, and
2 this statement was as a result of collaboration
3 of more than 20 northeast Blanding's turtle
4 experts. Could you read the underlined section
5 of that report, please?

6 A (Barnum) It says because Blanding's turtles have
7 a generation time of nearly 40 years and
8 population increases take place slowly,
9 recoveries from declines may take many decades
10 or centuries. Therefore, to be effective,
11 conservation efforts must take place well in
12 advance of severe declines.

13 Q Thank you. I'd like to move to another topic
14 and will need Deerfield Abutter Exhibit 54.

15 Is anyone on the Panel familiar with the
16 concept of spacial ecology and core-area
17 protection?

18 A (Barnum) I have certainly heard about these
19 concepts, yes.

20 Q There's a definition on the top of the exhibit
21 that would put everyone to sleep. So I was
22 wondering if you could just give a definition
23 that a layperson could understand, just
24 generally.

1 A (Barnum) I haven't reviewed these concepts in
2 some time. I wouldn't want to do that.

3 Q Okay. I think, I just have a few questions
4 about this topic, and I think it's going to
5 become obvious to folks so I'll just proceed.

6 In Michigan where the author, J.D. Congdon,
7 is still doing his 50 years of research, he's
8 representing that, and I'll read from the
9 underlined section. "Terrestrial protection
10 zones of 300, 1000 and 2000 meters around
11 resident wetlands only are required to protect
12 14 percent, 87 percent, and 100 percent of
13 adults respectively."

14 Do you agree that he's representing that a
15 300-meter terrestrial protection zone around
16 Blanding's turtles' resident wetland will only
17 protect 14 percent of the adult population?

18 A (Barnum) That is what the author is
19 representing.

20 Q Okay. Do you agree with the concept that core
21 area around resident wetlands must be large
22 enough to support all the life cycle activities?

23 A (Barnum) That sounds reasonable.

24 Q Do you also agree with the last sentence of just

1 under what I just read, "A protection zone that
2 encompasses the activity of most or all of
3 Blanding's turtles has a high probability of
4 including the core areas of most other
5 semi-aquatic organisms."

6 A (Barnum) That sounds very reasonable.

7 Q So the Blanding's are often referred to as like
8 an umbrella species. If you protect the
9 Blanding's, you're also getting the benefit of
10 protecting others; is that true?

11 A (Barnum) That is correct.

12 Q Okay. Ms. Carbonneau, I'd like for you to read
13 a sentence from your Prefiled Testimony,
14 Applicant Exhibit 22. And if you could just
15 read lines 14 and 15?

16 A (Carbonneau) It reads, "The largest component of
17 the Project's mitigation plan is preservation of
18 upland buffers around good quality wetlands, one
19 of the DES's preferred mitigation methods, and
20 one which will also provide in-kind mitigation
21 for wildlife habitat impacts."

22 Q Do you agree that this statement acknowledges
23 the importance of core-area protection?

24 A (Carbonneau) It acknowledges the importance of

1 preserving an upland buffer around a wetland for
2 wetland dependent species, yes.

3 Q Thank you. Did your analysis calculate, your
4 wetland impact analysis overall, did it
5 calculate in any way the impact to core areas of
6 existing, well-established, high quality
7 conservation lands like the Menard Forest?

8 A (Carbonneau) We did not quantify impacts
9 differently on conservation lands as we did
10 elsewhere along the Project route. They were,
11 high quality wetlands were calculated the same,
12 regardless of whose property they were on.

13 Q I'd like to take the question just one step
14 further in that your calculations of impacts
15 were solely restricted to impacts to the wetland
16 areas or upland areas right within the 200 foot
17 or 100 foot or whatever the width of the
18 corridor, correct?

19 A (Carbonneau) Yes. We confined our impact
20 assessment to the habitats that were going to be
21 directly or secondarily impacted by the Project.

22 Q Okay. So the impact of what happens within the
23 right-of-way, it wasn't considered how that
24 piece of the puzzle is part of the core area of

1 any given region? That wasn't the scope of your
2 wetland analysis?

3 A (Carbonneau) For quantification purposes for
4 permitting, no.

5 Q Correct. Thank you. I'd like to switch topics
6 to searching for turtles and snakes. And can we
7 put up Applicant Exhibit 124? It's the next
8 one. Thank you.

9 With regards to the snake survey,
10 Ms. Barnum, you said that, and I believe I put a
11 number 1 next to this comment. You said that,
12 and this was communication with you and, I
13 believe, Fish & Game as things were being
14 determined for survey work.

15 With regards to the snakes, you don't have
16 the resources to search the whole right-of-way
17 intensively. What resources were you lacking?

18 A (Barnum) So this is in regards to our surveys to
19 look at presence/absence distribution within the
20 Project area. So for the reporting that I was
21 doing for the preconstruction surveys, well, not
22 the preconstruction surveys but for the surveys
23 that I was using to support my analysis of the
24 potential impacts, I was saying that we didn't

1 have the resources to search the entire
2 right-of-way for racers at that point.

3 Q You didn't have the financial resources, the
4 personnel resource? What were you lacking that
5 you didn't have the ability to do a full snake
6 survey?

7 A (Barnum) Didn't have the personnel.

8 Q Okay. Did you ask to increase the budget or
9 were you, you know, was there any attempt to
10 consider this a priority or you just didn't have
11 the personnel and so it was decided that you
12 didn't do it?

13 A (Barnum) So what we decided in consultation with
14 Fish & Game is that we were going to assume
15 presence. We will assume that there are
16 northern black racers throughout the existing
17 right-of-way from the Canterbury/Northfield line
18 south, and that approach was acceptable to Fish
19 & Gamement.

20 Q Number 2 on that same exhibit. You consulted
21 with Fish & Game to get trained on the best
22 searching techniques, correct?

23 A (Barnum) That's correct.

24 Q And your summary results of the survey led you

1 to the following conclusion. After you
2 completed the habitat study from Allenstown to
3 Deerfield, the overall, the survey area of the
4 existing right-of-way, and I believe you might
5 have that, Jo Anne, to put up.

6 The surveyed areas of the existing
7 right-of-way appeared to offer low quality
8 habitat for nesting turtles and no depreciated
9 turtle nests of any species were observed during
10 the survey, is that correct?

11 A (Barnum) So you are sort of taking two different
12 surveys' efforts right now and combining both
13 how they were decided upon and then the results.
14 So for the snakes, we're talking about --

15 Q I apologize. I realized after I started reading
16 this I should have mentioned that. I'm talking
17 about turtles. Thank you.

18 A (Barnum) All right. So for the turtle survey,
19 like I discussed earlier and there is also in
20 consultation with Fish & Game, we decided that
21 the resource that was of most interest was the
22 potential nesting habitat and through a modeling
23 exercise which combined soil suitability and
24 distance to suitable water bodies, we determined

1 where the extent of potential nesting habitat
2 could be, and then we went out and spot-checked
3 those areas.

4 After reviewing aerial photographs within
5 the potential turtle nesting areas we identified
6 locations where there might be bare ground or
7 exposed soils and then went and checked those
8 areas to assess their suitability as turtle
9 nesting habitat. Again, this wasn't just in
10 Allenstown. The Allenstown/Deerfield survey was
11 for black racers specifically. I mentioned
12 before as far as racers go, we had assumed they
13 were present throughout the right-of-way from
14 Canterbury south. However, because Fish & Game
15 hadn't done very intensive survey in the town of
16 Allenstown and Deerfield yet, they requested
17 that even though we were assuming presence, we
18 go out and do some survey and see if we were
19 going to see any snakes in those areas. So that
20 was the snake survey. Allenstown/Deerfield.
21 The turtle nesting habitat survey was the entire
22 area from Canterbury south or including
23 Canterbury southwards.

24 Q Can you reconcile for me the way that on one

1 hand, the first exhibit that we looked at, there
2 was a high likelihood of them being there, and
3 yet, after you've completed your survey work,
4 there was, and Bridgewater may not even be in
5 this region, but basically you concluded that
6 there was wasn't any high quality nesting sites.

7 A (Barnum) Sorry. I didn't mean to jump in. So
8 there's a high probability that turtles will use
9 these areas. They're close enough to suitable
10 water bodies. They have resources that turtles
11 would use. We were not searching for turtles
12 when we went out and did these surveys. These
13 surveys were specifically looking at habitat
14 resources, specifically nesting habitat, and we
15 were trying to assess the habitat resource.

16 In our estimation, although there is
17 potential nesting habitat, very little of it is
18 of high quality because there is some bare
19 ground, but in most cases there's an awful lot
20 of vegetation. Turtles can dig and they do dig
21 through some vegetation, but a lot of this was
22 thicker and denser than turtles would want to
23 dig through, and a lot of the bare ground is
24 associated with recreational vehicle use. It's

1 there and it's bare because people are in there
2 with dirt bikes and four-wheelers digging up the
3 area, and that's not compatible with turtle
4 nesting. So even though those sorts of
5 resources are present in some places because of
6 the use they receive, they don't present a high
7 quality nesting opportunity.

8 Q So I'm pleased to hear you say that turtles do
9 use the area.

10 A (Barnum) Absolutely.

11 Q Okay. Can we take a look at Deerfield Abutter
12 Exhibit 45.

13 This is right-of-way off of Mountain Road
14 in Deerfield looking east towards the
15 substation. Do you remember and this isn't
16 terribly important, but do you remember what
17 year you did your survey?

18 A (Barnum) I believe it was 2013.

19 Q Okay. Did you take into account the fact that
20 vegetation cover changes depending on the
21 maintenance projects?

22 A (Barnum) Yes.

23 Q Would you agree that disturbed areas are created
24 by these projects? Just like the dirt bikes, I

1 mean, the use of the right-of-way for access and
2 getting equipment in and out creates disturbed
3 areas?

4 A (Barnum) In my experience, the vegetation
5 management changes the height of vegetation and
6 the type of vegetation, but I don't recall
7 seeing areas that were turned into bare ground
8 by vegetation management.

9 Q Well, I'll represent to you, if you take a look
10 at that bottom picture, when you did your survey
11 work, this right-of-way did not look like this.
12 All this switchbacking was a result of a
13 construction repair that was done early this
14 year.

15 So let's take a look at the next, Exhibit
16 106. This is the same right-of-way looking
17 west. There's a snapping turtle that's
18 returning to the Lamprey River coming, it had
19 crossed the road from the east side going,
20 heading west, and on the picture below, there's,
21 again, I didn't want to walk right up, and I
22 didn't touch the nesting area, but there was a
23 nesting area that had been created in this
24 right-of-way access road for the construction.

1 So do you agree that turtles will, and they
2 spend anywhere from 15 to 17 days on their
3 nesting foray, that they'll explore and use
4 marginal nest sites?

5 A (Barnum) Yes. And it would appear that the
6 construction road actually created somewhat
7 better conditions than might have been there
8 previously.

9 Q Do you agree that snapping turtles are a proxy
10 for other turtle species?

11 A (Barnum) I do not agree. I'm not saying they're
12 not, but I don't, their habitat use and needs
13 and their life history is different enough from
14 other turtles, particularly Blanding's turtles,
15 that they don't necessarily provide an ideal
16 proxy.

17 Q When you were doing your egg collection in terms
18 of your turtle survey, didn't Mr. Marchand
19 recommend that the snapping turtles, the nest
20 sites, if you could find the snapping turtle
21 eggs, then they were indicative of other species
22 being present in the area?

23 A (Barnum) I don't recall that.

24 Q Okay. The only reason I know that is I saw that

1 in the correspondence back and forth in that
2 same email chain.

3 A (Barnum) Okay.

4 Q Which I don't have that particular page with me,
5 I don't believe.

6 A (Barnum) Okay.

7 Q So one last question on the survey. Can you go
8 back to the page 61 that did have the
9 correspondence? I'm sorry, Jo Anne. I should
10 have flagged that. That had the three
11 questions.

12 I was just curious how you did on your time
13 estimates for searching. This, again, I
14 appreciate the fact that you were just getting
15 set up to do this work, and you're getting
16 advice and wanting to get it right, and you had
17 estimated that it would take 8 person hours per
18 mile of survey and you had three visits.

19 Do you remember were you, was that a good
20 estimate? Or were you off on your estimate?
21 Did you need more time or less time, do you
22 remember?

23 A (Barnum) So these questions are all in regards
24 to the snake survey, not the turtle habitat

1 evaluation.

2 Q Well, I was thinking that that was more general,
3 but I'll yield to you if you felt that that
4 question was specific to the snakes. So your
5 snake survey, let's stick to snake survey. If
6 you're looking for snakes, was this estimate of
7 time correct?

8 A (Barnum) I was asking Mike if he thought that
9 was suitable and his response was that one visit
10 was going to be sufficient, and so we in the end
11 for all the areas that we searched for snakes we
12 made one visit, not three.

13 Q Okay. So one visit, and did it take you about 8
14 person hours per mile?

15 A (Barnum) I don't recall.

16 Q Okay. Thank you. A minimization method to
17 offset turtle or egg crushing by equipment is to
18 remove, you search for and you move the turtles
19 from the active construction zone, correct?
20 Exhibit 17. Does that sound correct,
21 Dr. Barnum?

22 A (Barnum) Could you repeat the question, please?

23 Q Sure. A minimization method to offset the
24 turtle or egg crushing by equipment is to search

1 for and remove the turtles from the active
2 construction zone.

3 A (Barnum) Yes, to minimize the potential for
4 turtles to be crushed, search the area prior to
5 beginning the construction activities and remove
6 the turtles to a safe suitable location.

7 Q Okay. And then the avoidance is the
8 restriction, the time restriction, to during
9 late October to April, no construction activity.
10 On the bottom section, Jo Anne.

11 We'll be summarizing this, but basically I
12 want to make sure that I understand what you're
13 calling avoidance and what you're calling
14 minimization and so that's the reference to that
15 clarification.

16 A (Barnum) Okay. The avoidance and minimization
17 measures that we are proposing for turtles are
18 part of the ongoing discussion with Fish & Game.
19 What we have currently agreed to may not be
20 exactly reflected in this document, but yes,
21 there are measures to both search the
22 construction area and remove turtles and then
23 also to avoid construction during sensitive
24 times.

1 Q Okay. Thank you. I have just a few questions
2 on Monitors. Have you produced any
3 documentation of Monitor required
4 qualifications?

5 A (Barnum) All Monitors will have to be qualified
6 to hold a handling permit issued by Fish & Game
7 and so the requirements for that handling permit
8 will need to be met, and Fish & Game can modify
9 those requirements, if they see fit. So there
10 is definitely that level of qualification
11 required.

12 Q Is that documented anywhere in the Application?

13 A (Barnum) It will be part of the avoidance and
14 minimization measures that we're currently
15 negotiating with Fish & Game. That language has
16 been added and is part of the existing document.

17 Q Whose job is it to assign a Monitor to a
18 specific area?

19 A (Barnum) That will be part of the construction,
20 what's the word I'm looking for. It's part of
21 the whole construction planning process so that
22 will take place at that time.

23 Q Whose job is it?

24 A (Barnum) I don't know. Lee?

1 A (Carbonneau) Ultimately, it's the responsibility
2 of the Applicant so to make sure that all of the
3 conditions of the permit, which include the
4 avoidance and minimization measures, are done
5 appropriately. So the ultimate responsibility
6 is the Applicant, and I don't know who that
7 person would be or if they will assign that
8 specific job to someone on the Project team.
9 That's yet to be determined, I believe.

10 Q Who would know whose job this is?

11 A (Carbonneau) I don't know if that's known yet.
12 I'm sure the Project Director will know at some
13 point, but I don't know if that's known yet.

14 Q On other projects that you've overseen, you've
15 made representations that this type of process
16 has been employed. I'm not looking for a
17 specific name of a person. I'm looking for the
18 chain of command here in terms of who has the
19 knowledge and the appreciation of the scope of
20 this task of who is going to put the Monitor
21 where and knows why, for what resource.

22 A (Barnum) I don't know what the chain of command
23 is, but I do know a little bit about the
24 process. So the areas which require a turtle

1 search or a snake search are marked on the
2 construction plans. And so when the manager of
3 the construction project is looking at the plans
4 and all the different issues that need to be
5 considered at each location, that is clearly
6 marked, and it's part of the planning process,
7 and they understand that everything that's
8 contained within those construction plans is
9 part of their responsibility to carry out. So
10 it's well documented that this needs to happen
11 and where it needs to happen. So the person
12 who's in charge of getting things to happen at a
13 certain location has that, it's recorded for
14 them. It's very obvious to them that that's a
15 task that needs to take place.

16 A (Carbonneau) In my experience on previous
17 Eversource Projects, as construction of the
18 Project begins, there's a weekly construction
19 management meeting. The Eversource Project
20 Manager is there, the Environmental Monitor is
21 there.

22 Q Excuse me. I don't mean to cut you off, but the
23 point is not planning on the fly, and it sounds
24 like the preplanning, even to the point of not

1 knowing who is going to be doing that planning,
2 hasn't yet occurred. So I'd like to just move
3 on to the next question.

4 Do you know how large an area that a
5 Monitor will be able to continue in one day when
6 they're searching for an endangered species?

7 A (Barnum) I don't know how large the area is, but
8 it's going to vary based on the habitat type.
9 Denser habitats are going to require slower,
10 more intensive searching. I'm envisioning that
11 this will be happening with a team of people,
12 not just one person. And the effort that's
13 required will be adjusted to be appropriate to
14 the type of habitat that's being searched.

15 Q But the person who is in charge of assigning
16 Monitors to certain areas, they'll know how
17 large an area that Monitor could do in a day.

18 A (Barnum) That's correct. Like I said,
19 everything's mapped and so the absolute area is
20 known. The amount of effort required based on
21 the habitat type, that's what's going to have to
22 be adjusted for in the field.

23 Q Have you considered the concept of probability
24 of detection in your selection of searching as a

1 minimization method?

2 A (Barnum) Yes.

3 Q What is the expected probability of detection
4 that Monitors will not miss what it is that
5 they're trying to protect or find?

6 A (Barnum) That will vary with the type of
7 habitat. I don't have a number for that.

8 Q So you do not know the percentage of what the
9 expected outcomes are going to be in any given
10 area?

11 A (Barnum) I don't.

12 Q I'll represent to you that the Deerfield
13 Abutters had a conference call with Justin
14 Congdon. He's the researcher that I'm sure
15 you're well aware of. And we asked him about
16 probability of detection in construction zones.
17 His answer was 10 percent.

18 Do you have any reason to disagree? Do you
19 have any evidence or any research or experience
20 that would cause you to disagree with his
21 opinion?

22 A (Barnum) I don't know anything about his search
23 methodology, the level of intensity of search,
24 the type of habitat he was searching. So I

1 can't comment on his numbers. My experience,
2 the search methodology used in a construction
3 zone is intensive, and I would expect to find
4 far more than 10 percent of the individuals
5 present.

6 Q So your basis for the POD on your experience is
7 based on personal experience or did you read
8 about other states or other Projects that
9 actually have results that show these types of
10 income percentages, outcomes, that you're
11 referring to?

12 A (Barnum) It's based in part on some personal
13 experience. Also experience within the company
14 and the methodologies used and approved by
15 Natural Heritage & Endangered Species Program in
16 Massachusetts.

17 Q In the recent rebuild in Deerfield in 2013, the
18 G146 line, I believe, Ms. Carbonneau, you did
19 the wetland mapping and were involved in that
20 Project; is that correct?

21 A (Carbonneau) That's correct.

22 Q Were there BMPs in place to remove turtles from
23 the active construction zone?

24 A (Carbonneau) Yes. That was part of the,

1 searching for turtles was part of that Project.
2 As I understand it, that involved a fairly
3 limited amount of actual on-the-ground
4 construction. They ended up doing a lot of that
5 work in the winter and then finished up with a
6 helicopter. I think the D118 line had a lot
7 more on-the-ground construction activity. That
8 was a rebuild project, and those two lines do
9 share the right-of-way in some portions of the
10 Project.

11 Q Do you recall in Technical Sessions when we were
12 talking about BMPs for turtles, and I
13 specifically asked you about the development of
14 the BMPs, and you represented that you were
15 working on it, you were working on it, and that
16 you did not have anything to produce with
17 regards to existing BMPs for turtles? Do you
18 recall that? That it was more, you were
19 representing that it was more, this is something
20 that you're working on, that you haven't had
21 available but that you were working on it, and,
22 in fact, they would be available very soon.

23 A (Carbonneau) We had some general, what we call
24 Best Management Practices. We've since changed

1 the name to avoidance and minimization measures
2 because these aren't necessarily industry-wide
3 Best Management Practices like you would have
4 for erosion and sedimentation control. They're
5 Project specific. They're location specific.
6 We actually are still working on them with New
7 Hampshire Fish & Game, but we did submit draft
8 versions of this in our Application materials
9 that went into New Hampshire DES and SEC in
10 January, I believe. It might have been
11 December. I've forgotten exactly which
12 submittal it was, but they had more information
13 in them, and we continue to refine them
14 specifically.

15 Q After a project like the rebuild in 2013, have
16 you ever gone back to verifying and document
17 that the impacts to species did not occur or
18 that if they did, to what degree?

19 A (Carbonneau) Well, we had no records of actually
20 impacting directly any turtles during the
21 Project that I'm aware of, but we have not gone
22 back to do a population study or a habitat
23 study.

24 Q Okay. So in summary of this topic, Jo Anne, can

1 you find that Appendix B, page 66? Thank you.

2 I'd just like to walk through the top line
3 to make sure that I'm clear about the strategies
4 to avoid and minimize impacts to turtles. So
5 avoidance is the preferred method, correct? I
6 mean, everyone wants to avoid impacts anywhere.

7 A (Carbonneau) Sure.

8 Q Okay. And construction is going to be
9 restricted in the sandy nesting areas, and that
10 there will not be any time-of-year restrictions
11 if avoidance is followed. Is that correct?
12 Again, I'm looking for clarification. This is
13 my interpretation of this table, and I want to
14 make sure that I am understanding this correctly
15 so --

16 A (Carbonneau) I would tell you that this is an
17 old table. This was from our submittal in
18 October of 2015, I believe. The current
19 avoidance and minimization measures that we're
20 working on with Fish & Game supersede this so I
21 wouldn't rely on this document any longer.
22 There's been a lot of additional detail and work
23 provided and Sarah can probably give a little
24 bit more information about where we stand on

1 these specific things.

2 Q Okay. I'll just see if you can split out one
3 clarification that is important to me, and that
4 is in your avoidance/minimization, second to
5 last column, the searching, are you listing that
6 as an avoidance measure or a minimization
7 measure?

8 A (Barnum) I think it's a little bit of a semantic
9 argument here. I would classify it as a
10 minimization measure.

11 Q So forget the chart then if this isn't up to
12 date. How would you, what are you using search
13 and rescue for qualifying it as? Avoidance? Or
14 minimization? Or whatever category you want to
15 put it in.

16 A (Barnum) Minimization.

17 Q Okay. Thank you.

18 Would you agree that heavy equipment
19 traveling up and down the right-of-way during
20 construction and maintenance of Northern Pass
21 Transmission will create a road-like
22 environment?

23 A (Barnum) I would.

24 Q And would you agree that this access road may be

1 better described as a long-term impact, not a
2 temporary impact?

3 A (Barnum) I would defer to Lee on that.

4 A (Carbonneau) All of the proposed access roads
5 are designed to be temporary or any improvements
6 made to them. So the plan is to restore them to
7 their preconstruction condition, and if they're
8 in a place where there is no access road, then
9 that will be removed. They're not designed for
10 long-term use.

11 Q But with ongoing maintenance, upgrades, even
12 utility activities, you cannot envision by the
13 time that, for instance, that right-of-way area
14 off of Mountain Road, by the time that
15 switchback gets reestablished, in comes another
16 project. So it's more of a -- and long-term is
17 not a category, I realize, that fits into this
18 Application, but can we agree that there are
19 areas, and due to ongoing activities that it
20 isn't temporary if another project comes right
21 in behind it and it gets disturbed and habitat
22 use and all these impacts are ongoing and not
23 temporary?

24 A (Carbonneau) Well, I think that the lines that

1 go through Deerfield now, if they're the D118
2 line, again, was very recently rebuilt. The
3 G146 had upgrades. In some locations that line,
4 I believe, is going to be relocated. There will
5 be new structures. The Northern Pass structures
6 will be new. I don't think there will be heavy
7 structural maintenance required for the near
8 term along this right-of-way, but there will be
9 ongoing maintenance, much as is conducted when
10 there isn't a big project going on which is
11 typical.

12 So, you know, annual helicopter fly-downs,
13 annual foot patrols, occasionally driving along,
14 you know, to allow for maintenance personnel to
15 inspect the structures, but it's not, it's not
16 like a local road. It doesn't get that level of
17 traffic. It's reduced. The vegetation
18 maintenance happens every 3 to 5 years so it's
19 periodic and it has always been so, and I think
20 that's what should be expected in the future.

21 Q From the Application, Exhibit 74, in the turtle
22 section which is too small to read, so I just
23 have one question, and I'll read the section at
24 the very first condition. And we're going to

1 switch from the location to open water, from
2 right-of-way to open water discussion.

3 Avoid and minimize impacts to open water
4 and mucky substrates in all seasons to the
5 greatest extent possible.

6 Did I read that correctly?

7 A (Barnum) Practicable, not possible.

8 Q Excuse me. Thank you. Good catch. I didn't do
9 that intentionally.

10 Are you familiar with the Wetlands Sheet,
11 the Function and Value Sheets? Who is familiar
12 with the Wetland Function and Value Sheets?

13 A (Barnum) That would be Lee.

14 A (Carbonneau) Yes, I am.

15 Q Jo Anne, can you put -- let's take a look at,
16 I'd like to take a look at DF 31. This is a
17 high quality wetland, and I need to apologize.
18 Can I go off the record for a second?

19 PRESIDING OFFICER HONIGBERG: Sure.

20 (Discussion off the record)

21 Q In relation to the condition on the Exhibit 74,
22 I'd like to just ask two questions relating to
23 the heron rookery which is a large body of water
24 just west of the substation. Are you familiar

1 with that site?

2 A (Barnum) Yes, I am.

3 Q The sediment depths that from this area are
4 labeled on Deerfield Abutter Exhibit 107. I
5 don't know if this has been produced in another
6 exhibit. These depths were as a result of a
7 Counsel for the Public's data request, and it
8 was, this work was done when they were doing
9 work in this pond a few years ago, and you can
10 see from this open water wetland sediment depth
11 that would you agree that the depths are deeper,
12 as the notation says, these depths were deeper
13 than the sampling rods could reach?

14 A (Barnum) That's how it's labeled, yes.

15 Q Okay. And do you agree from the next chart that
16 the water depths will be deeper than timber
17 matting would allow in order to access, to build
18 roads for tower construction?

19 A (Barnum) I'll defer to Lee on this.

20 A (Carbonneau) Yes. I don't know the maximum
21 depth that they can stack mats, to be honest
22 with you. I'm not sure.

23 Q Okay. How did you calculate impacts to this
24 pond? Actually, I'll back up.

1 Did the construction team work with you in
2 your impact analysis to this pond?

3 A (Carbonneau) Yes. They are the ones who
4 actually devised the way to access the various
5 work locations.

6 Q Specifically, what strategies for avoidance and
7 minimization are in place in this heron rookery
8 pond, do you know?

9 A (Carbonneau) The general avoidance and
10 minimization is, first of all, to try to do the
11 work when the pond is frozen. That's how it was
12 done for the D118 Project. I think the G146
13 also tried to get in this pond. This pond has
14 been worked on fairly recently, as you know.
15 And one of the other methods that was used on
16 those two Projects was to actually access the
17 construction sites from a different angle with
18 landowner permission. We're not counting on
19 that for this.

20 But the method is initially to try to get
21 there during frozen conditions. If the ice is
22 not thick enough, there are ways to try to make
23 the ice thicker and also putting timber mats on
24 the ice can help. Barring that, they will

1 either need to stack mats or use a shallow
2 barge, if that's appropriate, but that is
3 something the contractors will need to work out
4 depending on the timing of that work.

5 Q Do you have any research or evidence that shows
6 that timber matting does not affect species like
7 turtles?

8 A (Carbonneau) Not specifically.

9 Q Okay. And same area, different topic. Avian
10 collisions. Just a couple questions remaining
11 here.

12 You note that on Appendix C, which is
13 the -- actually, I'll just read this for you.

14 That avian collisions with power lines does
15 not appear to be a notable source of avian
16 mortality in the region. Does that sound right?

17 A (Barnum) That's correct. Yes.

18 Q Would you agree that changing the configuration
19 of the lines from a horizontal arrangement to a
20 vertical configuration may cause confusion to
21 herons and increase the risk for avian
22 collisions?

23 A (Barnum) Potentially. There are a lot of
24 factors, however, that go into creating

1 collision risk, and the line that's most
2 commonly struck by birds when they collide is
3 the shield wire at the very top of the
4 configuration, and that's because the other
5 lines are thicker, they're more likely to be
6 seen, the bird makes a quick move to avoid and
7 that little thin wire is still there. And
8 regardless of the configuration, the number of
9 lines, et cetera, you still have that issue of
10 having that thin shield wire.

11 So changing configuration can certainly
12 have some effect on risk, but it doesn't, it's
13 the ultimate, it's probably not the most
14 important factor that causes collision to happen
15 so --

16 Q Okay. Do you agree or disagree that introducing
17 structures of 120, 125 and 135 feet to the ponds
18 may also be cause for collisions as birds are
19 adjusting to the new configurations, the new
20 heights, just the new, something new and
21 different?

22 A (Barnum) Yes. I agree. Like I said, there will
23 no doubt be some change in the collision risk as
24 a result of adding more structures to the pond.

1 Certainly.

2 Q Okay. Do you have any studies that you relied
3 upon to demonstrate that line marking actually
4 works for herons?

5 A (Barnum) There have been numerous studies of
6 different line marking methods and numerous
7 studies of different species. There's not
8 enough, based on a metaanalysis of all the
9 existing information that was conducted I
10 believe in 2014, there's not enough data on any
11 single species or any single line marking method
12 to suggest what's the best for a specific
13 species. It's just understood that line marking
14 in general has benefits.

15 Q Okay. It's my understanding that any
16 consideration of line marking would only occur
17 after the fact of having reported incidences of
18 collisions; is that correct?

19 A (Barnum) That's correct.

20 Q Okay. And the last few questions relate to my
21 family's pond. Let's use this map. This is
22 Applicant's Exhibit 3, sheet number 671.

23 Can you tell me why the pond was not
24 labeled in terms of as a designated wetland?

1 A (Carbonneau) It is part of, the wetland boundary
2 is not the edge of the standing water. The
3 wetland boundary is shown in green as part of DF
4 28.

5 Q So you're not making a distinction between the
6 ponded body of water and the vegetative wetland
7 type on the right-of-way? That's all one and
8 the same type of wetland?

9 A (Carbonneau) No. We're not saying that it's the
10 same type of wetland. The wetland is, the pond
11 is part of the wetland. So we're showing the
12 boundary on this. We're not making a
13 distinction between the water portion and the
14 shallow portion.

15 Q Don't other ponds have designations of PUB?

16 A (Carbonneau) If that's the dominant part of the
17 wetland in the right-of-way, then that would be
18 how we would designate it, yes.

19 Q So impacts to this pond are calculated and
20 recorded in the Application?

21 A (Carbonneau) Yes, as part of the wetland system
22 that's within the right-of-way. So the impacts
23 would be on the plan sheet as identified
24 associated with DF 28.

1 Q I'm sorry. I didn't understand that last
2 sentence. As associated with what?

3 A (Carbonneau) There's a table on each plan sheet.

4 Q Yes.

5 A (Carbonneau) And it includes the names of the
6 wetlands, labels, and the impact area associated
7 with that wetland.

8 Q Okay. So Jo Anne, can you move that up a little
9 bit higher so that lower chart --

10 So when you did calculations, this pond is
11 an acre and a half. So roughly what? 43,000
12 square feet per acre. So 60,000 square feet.
13 In any way impacts to the pond such as like
14 potential impacts. I'll make a distinction
15 here. Potential impacts to the pond as a result
16 of runoff or other Project influences, the area
17 calculation is only based on the section
18 physically located in the right-of-way. Is that
19 true?

20 A (Carbonneau) Physically located in the
21 right-of-way and that would be disturbed in some
22 way by the construction activity.

23 Q Okay. So this structure in the northeast corner
24 of the pond is a big ledge knob, and it actually

1 is, its footprint would be sitting, if not in, I
2 don't know how they can build that crane pad
3 without being in the pond, but I'm not going to
4 argue that point. So impacts, if you need to,
5 for instance, blast that ledge, did you consider
6 impacts of that activity on the pond?

7 A (Carbonneau) We're not expecting that impacts
8 associated with the construction are going to
9 have an overall effect on the pond. We based
10 our examination on the construction disturbance
11 area that the engineers in conjunction with the
12 contractors anticipate for the Project. We
13 don't include, you know, hypothetical what-if
14 impact calculations because we're not
15 anticipating them.

16 Q Okay. Well, I'm anticipating them. Sorry.

17 And there's a spring which feeds the pond
18 right in that northeast corner, like five feet
19 off the edge of the pond. And blasting that
20 knob would create an impact. So aside from,
21 I'll get educated in terms, I'm going to take
22 your, I'm going to appreciate your understanding
23 and I've missed a point in terms of somewhere
24 you have calculated impacts to this pond. I

1 didn't see a notation on the pond like I've seen
2 on other ponds on the right-of-way. But I'm
3 going to yield to your expertise and accept that
4 fact.

5 Would you agree that, again, just going
6 back to our overall theme here of protection to
7 turtle species, that a pond such as this might
8 be impacted and some of the core-area
9 activities, for instance, like basking of
10 turtles. And basking of turtles is not sun
11 bathing. It's a core area activity. They need
12 to raise their body temperature so they're in
13 the ponds in the spring raising their core body
14 temperatures, and with construction activity,
15 would you agree that they're not likely to be
16 able to be doing that in ponds and wetlands
17 along the right-of-way?

18 A (Barnum) I don't have any opinion on how
19 sensitive turtles might be to that activity. I
20 understand that turtles are sensitive to certain
21 types of activity. It would depend on where
22 their log was and what the angle of the sun was
23 and what log they wanted to use at a specific
24 time and other factors like that and how close

1 they would actually be to the activity.

2 A (Carbonneau) We have acknowledged that there
3 will be potentially some temporary displacement
4 of wildlife during construction activities for
5 the Project. I mean, that's intuitive, and we
6 recognize that. We don't expect that to be a
7 long-term impact, and we don't know that they're
8 actually going to have to do blasting on this
9 particular location. We don't have that
10 information.

11 Q So there are impacts that might occur but
12 because you don't have the information, you
13 don't know.

14 A (Carbonneau) What I'm saying is we're
15 anticipating and expecting that there will be
16 some temporary displacement of wildlife. It's
17 not quantifiable, and it will vary by species,
18 and it will vary by construction season. If
19 this work took place in the winter, we don't
20 think there would be an impact at all.

21 So it's not that we're not recognizing it
22 or that we've left it out. It's just, it's
23 temporary, it could be minimal depending on the
24 season, and we have addressed it in our wildlife

1 report.

2 Q Okay. And lastly, the habitat for that
3 Delineation of Wetland chart.

4 Two questions. DF 7. If you look across,
5 this is a chart that has all the various values
6 and functions of wetlands this are charted out
7 very nicely and DF 7 exceeds your 14 score
8 ranking determination that I would have
9 concluded it to be a high quality wetland and
10 yet it's labeled no. Do you happen to know why
11 that is?

12 A (Carbonneau) I don't. It could be an error.

13 Q And DF 31 which is a wetland in Deerfield is
14 designated as high quality, and you can see it
15 has all the attributes that contribute to value
16 with the exception of recreation. I'm not going
17 to argue that point.

18 The question is does Northern Pass
19 Transmission in any way enhance either the
20 function or the value of this wetland or any
21 wetland for that matter?

22 A (Carbonneau) If you're asking if the Project
23 results in an enhancement of wetlands functions
24 and values, that's not our expectation. Our

1 expectation is to restore the wetlands so that
2 to the extent possible the existing functions
3 and values will remain, and for any residual
4 long-term permanent impacts we have developed a
5 mitigation plan.

6 Q Would you agree that Northern Pass, if it had
7 any impacts to adult mortality with the
8 endangered species column that that indeed would
9 be a detriment and would be of serious concern?

10 A (Carbonneau) Sure.

11 Q Okay. Thank you. I have no further questions.

12 MR. IACOPINO: Before you step away, your
13 reference to the DF lines, am I correct that
14 they were in Applicant's Exhibit 1, Appendix 31,
15 page 138?

16 MS. MENARD: Yes. And this is from
17 Appendix B.

18 MR. IACOPINO: Thank you.

19 MS. MENARD: Thank you.

20 PRESIDING OFFICER HONIGBERG: Mr. Cote, how
21 much do you have?

22 MS. COTE: About an hour.

23 PRESIDING OFFICER HONIGBERG: Ms. Bradbury,
24 how much do you have?

1 MS. BRADBURY: About an hour. I'm
2 guessing, but I think an hour.

3 PRESIDING OFFICER HONIGBERG: All right.
4 We're going to take our lunch break now. We'll
5 be back at about 1:30. Off the record.

6 (Discussion off the record)

7 (Lunch recess taken at 12:07
8 p.m. and concludes the **Day 19**
9 **Morning Session**. The hearing
10 continues under separate cover
11 in the transcript noted as **Day**
12 **19 Afternoon Session ONLY**.)
13
14
15
16
17
18
19
20
21
22
23
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, Cynthia Foster, Registered Professional Reporter and Licensed Court Reporter, duly authorized to practice Shorthand Court Reporting in the State of New Hampshire, hereby certify that the foregoing pages are a true and accurate transcription of my stenographic notes of the hearing for use in the matter indicated on the title sheet, as to which a transcript was duly ordered;

I further certify that I am neither attorney nor counsel for, nor related to or employed by any of the parties to the action in which this transcript was produced, and further that I am not a relative or employee of any attorney or counsel employed in this case, nor am I financially interested in this action.

Dated at West Lebanon, New Hampshire, this 15th day of April, 2017.

Cynthia Foster, LCR