

**STATE OF NEW HAMPSHIRE**  
**SITE EVALUATION COMMITTEE**

**June 26, 2017 - 9:00 a.m.**  
49 Donovan Street  
Concord, New Hampshire

**DAY 20**  
**Morning Session ONLY**

*{Electronically filed with SEC 07-10-17}*

**IN RE:       SEC DOCKET NO. 2015-06**  
**NORTHERN PASS TRANSMISSION -**  
**EVERSOURCE; Joint Application of**  
**Northern Pass Transmission LLC and**  
**Public Service of New Hampshire d/b/a**  
**Eversource Energy for a**  
**Certificate of Site and Facility**  
**(Hearing on the Merits)**

**PRESENT FOR SUBCOMMITTEE/SITE EVALUATION COMMITTEE:**

<b>Chmn. Martin Honigberg</b> <i>(Presiding Officer)</i>	Public Utilities Comm.
<b>Cmsr. Kathryn M. Bailey</b>	Public Utilities Comm.
<b>Dir. Craig Wright, Designee</b>	Dept. of Environ.Serv.
<b>Christoper Way, Designee</b>	Dept. of Resources & Economic Development
<b>William Oldenburg, Designee</b>	Dept. of Transportation
<b>Patricia Weathersby</b>	Public Member
<b>Rachel Dandeneau</b>	Alternate Public Member

**ALSO PRESENT FOR THE SEC:**

Michael J. Iacopino, Esq. Counsel for SEC  
*(Brennan, Caron, Lenehan & Iacopino)*

Pamela G. Monroe, SEC Administrator

*(No Appearances Taken)*

**COURT REPORTER: Cynthia Foster, LCR No. 14**

I N D E X

WITNESS PANEL	LEE CARBONNEAU SARAH BARNUM JACOB TINUS	PAGE NO.
---------------	---	----------

Cross-Examination by Ms. Townsend	3
Cross-Examination by Mr. Publicover	46

**QUESTIONS FROM SUBCOMMITTEE  
MEMBERS & SEC COUNSEL BY:**

Mr. Wright	58
Mr. Oldenburg	108

**P R O C E E D I N G S****(Hearing resumed at 9:00 a.m.)**

1  
2  
3           PRESIDING OFFICER HONIGBERG: Good morning.  
4 We are going to resume and finish with the  
5 Environmental Panel this morning. We have one  
6 more abutter group, the Ashland to Deerfield  
7 Non-Abutters. Ms. Townsend is going to  
8 question, and I understand that by agreement,  
9 the Nongovernmental Environmental Groups has a  
10 few more questions to follow up on something,  
11 and the Applicants agreed to allow that to  
12 happen, and then the Committee will have its  
13 questions. So Ms. Townsend, are you ready to  
14 go?

**CROSS-EXAMINATION****BY MS. TOWNSEND:**

16  
17 Q Good morning. I'm Heather Townsend, and I'm  
18 representing the Ashland to Deerfield  
19 Non-Abutting Property Owners.

20           Okay. We've met before at Technical  
21 Sessions.

22           In comments on the 14th, Dr. Barnum, you  
23 explained why it is that large birds were a  
24 particular concern for avian strikes. You said

1 that raptors generally fly well but may be  
2 distracted if they're hunting. You also noted  
3 that waterfowl are not excellent flyers, can't  
4 get out of the way as readily, their eyes are on  
5 the side of their head and they're blind to the  
6 front. They evolved in a world that did not  
7 have electrical power lines and are not equipped  
8 to see and avoid them. Is it a fair  
9 characterization of what you said?

10 A (Barnum) Yes.

11 PRESIDING OFFICER HONIGBERG: Off the  
12 record.

13 (Discussion off the record)

14 Q So it might be a particular concern where you  
15 have herons distracted as they're fishing since  
16 they're both blind to the front and ungainly as  
17 well as being distracted, sort of a triple  
18 threat.

19 A (Barnum) I don't believe they're blind to the  
20 front. They're a predatory bird so they would  
21 have good binocular vision so that they could  
22 catch the things they're trying to eat.

23 Q Gotcha. Okay. So they're more, it's more for  
24 them that they're ungainly?

1 A (Barnum) I would say so, yes.

2 Q And distracted. So locally, on the  
3 Pemigewasset, we've observed that herons,  
4 osprey and eagles follow the Pemigewasset River  
5 while hunting over water as well as following  
6 the Squam River from Squam Lake and headed over  
7 to Webster Pond. Does that conform to your  
8 understanding of those species' behavior?

9 A (Barnum) I haven't studied what those species do  
10 in that particular area so I have no comment on  
11 that.

12 Q Okay. PRLAC and I discussed this with other  
13 residents. That's what we observed.

14 Do loons tend to behave this way as well?  
15 Do they hunt over water?

16 A (Barnum) Loons and I would also note herons  
17 don't hunt over water. They get into the water  
18 and they dive. Well, loons dive. Herons hunt  
19 by stalking so neither of these two species are  
20 distracted by hunting behavior while they're  
21 flying.

22 Q Okay. So it's really, it's the osprey and the  
23 eagles that are potentially distracted.

24 A (Carbonneau) Potentially. Yes.

1 Q We do still see the herons flying down the  
2 river. I don't know what they're doing, but  
3 that's something that they seem to do in our  
4 area.

5 So the new high voltage lines which  
6 criss-cross the river would create a particular  
7 kind of barrier in that the new lines and the  
8 old lines would be at different heights from one  
9 another and not predictably so.

10 So if you could put up the first.

11 So that's just one cross-section where  
12 there's the new proposed tower. The 115  
13 kilovolt. And then sometimes there's also a  
14 distribution line along with the rest, and you  
15 can see that those lines aren't going to line up  
16 with one another. They're going to be at  
17 different heights.

18 If you can move on to the next one.

19 So this shows a portion of the Pemi with a  
20 number of crossings, and you can see where I  
21 have 1 and 2. That's the first crossing. And  
22 you can see that those are very different  
23 heights for the existing and the proposed. In  
24 addition to crossings, the same is true also

1 down at the crossing 6 and 7.

2 In addition, can you fit two pages on  
3 there? That would be great.

4 In addition to crossings, there are near  
5 approaches. In fact, towers that are so very  
6 close to the river, in fact, within the  
7 floodplain some of the structures that Max Stamp  
8 was showing on Friday that are between the  
9 lagoons and the waterfront. Do you recall  
10 those, Ms. Carbonneau?

11 A (Carbonneau) Yes, I do.

12 Q Yes. So those are at 3. At 4 is where the  
13 lines cross the Squam River, and that's one of  
14 the places where there are three sets of lines  
15 including a distribution line. And then at 5,  
16 there's a very strange dog-leg that happens with  
17 a tower that comes within, I think, 50 feet.  
18 And because of the way that the dog-leg works,  
19 it's also going to be perpendicular to the river  
20 so perpendicular to the way that birds would  
21 tend to be flying, either coming from the Squam  
22 River or coming down the Pemi but just not  
23 directly over the river. And then the second  
24 piece of paper is just showing two other

1 crossings, and this is all within, I would say,  
2 close vicinity to one another.

3 So my question is given that what you cited  
4 as being a danger to birds that are approaching  
5 a power line, a high voltage line, that they  
6 don't tend to hit the line itself, but they try  
7 to avoid the line and then hit the -- did you  
8 call it a guard wire?

9 A (Barnum) The shield wire, yes.

10 Q I'm wondering whether you consider that having  
11 multiple wires at different heights offers a  
12 similarly dangerous situation but perhaps more  
13 so for being more lines.

14 A (Barnum) Yes. I would agree that given the  
15 multiple lines and the crossing of the river,  
16 this would be a particularly difficult spot for  
17 birds to navigate.

18 Q Okay. In response to Jeanne Menard on Friday,  
19 you said that there will be some change in  
20 collision risk due to a change in configuration  
21 of wires. Would you say that this would be an  
22 increased collision risk?

23 A (Barnum) Yes, I would agree with that.

24 Q Okay. Thank you. So if I understand correctly,

1 the common loon are threatened, are a threatened  
2 species?

3 A (Barnum) I believe that's correct. State  
4 threatened. Yes.

5 Q And then golden eagle is endangered?

6 A (Barnum) That is also correct. State  
7 endangered.

8 Q So it seems as though impacts that the river  
9 crossings make on those bird populations are not  
10 being avoided; is that fair to say?

11 A (Barnum) Based on the distribution and behavior  
12 of these two species, I would actually think  
13 that of the species that might have trouble  
14 navigating, they're probably the two least  
15 likely species to encounter these particular  
16 locations. Golden eagles are only present in  
17 the state during migration, and they tend to be  
18 following features of the landscape that allow  
19 them to travel on thermal updrafts. And loons,  
20 for the most part, spend their summers when  
21 they're here in the state on their breeding  
22 ponds and don't spend a lot of time on the river  
23 or any rivers.

24 Q We have observed them on the rivers.

1 A (Barnum) I understand. They're not saying they  
2 never are, but it's not where they spend most of  
3 their time.

4 Q Right. Okay. So above and beyond those birds  
5 that are listed, we have birds that are  
6 collision risks in addition to the listed ones,  
7 and I'm wondering under what means might the  
8 impacts be minimized?

9 A (Barnum) I think that these locations would be  
10 very good spots to put some kind of diverter.  
11 As I noted in my report, there's no agreement in  
12 the alternative about what kind of diverter  
13 would be best, but these seem like good  
14 locations to consider those options.

15 Q Oh, we didn't talk about osprey or which are  
16 listed as special concern or bald eagles.

17 A (Barnum) Correct. Those two species are much  
18 more likely to be in these locations than the  
19 two you mentioned previously.

20 Q Right. And they're listed species and they're  
21 being impacted; is that correct?

22 A (Barnum) They have the potential to be impacted.

23 Q Okay. Where you have an impact that is not  
24 being minimized necessarily, is there not

1 usually a mitigation? That's a question.

2 A (Barnum) Mitigation for the Project, the overall  
3 impacts of the Project is being provided. It's  
4 not necessarily species specific or location  
5 specific, but there is mitigation, and if  
6 collision were shown to be an issue in these  
7 locations certainly adding diverters would be  
8 mitigation that could be added.

9 Q Okay. Are any of the mitigation areas river  
10 ecosystems?

11 A (Carbonneau) Yes. We actually have mitigation  
12 along Halls Stream, we have mitigation along the  
13 Connecticut River as well, and many of the  
14 others have smaller water bodies that wouldn't  
15 necessarily be applicable for osprey and eagles  
16 but Halls Stream and the Connecticut River would  
17 be.

18 Q Okay. Can you give me a little bit more detail  
19 about the Connecticut River? Because I hadn't  
20 seen that listed as part of the mitigation  
21 package.

22 A (Carbonneau) Yes. There is Mitigation Site B  
23 has considerable amount of shoreline along the  
24 Connecticut River on the, I guess it would be

1 the northern and western side of the river in  
2 that location. It's thousands of linear feet.  
3 I don't know the number off the top of my head,  
4 but it does protect the shoreline where eagles  
5 would be roosting, and in that location, the  
6 Northern Pass Transmission line is actually  
7 going under the river so there would be no  
8 additional lines across the river in that  
9 location.

10 MR. IACOPINO: Was that B bravo or V  
11 Victor?

12 A (Carbonneau) B bravo.

13 MR. IACOPINO: Thank you.

14 Q Of course, we wish that the lines were going  
15 under the Pemigewasset as well because of all  
16 the species that are going to be impacted  
17 without minimization so considering that the  
18 line comes up right at Bridgewater and then  
19 crisscrosses the river, that's something that we  
20 would actually prefer to a mitigation package  
21 which is very far from where these species  
22 actually are now. But that's a comment.

23 Can I just ask about the markers that would  
24 be put on the lines? First of all, you

1 mentioned previously that markers were not  
2 likely to be placed unless there was evidence of  
3 a large bird die-off in the area. Is that the  
4 case?

5 A (Barnum) There's no plan currently to put  
6 markers on the lines.

7 Q Okay. What would happen to a bird of prey or  
8 multiple birds of prey that struck lines above a  
9 river, what would happen to them?

10 A (Barnum) They would fall into the river.

11 Q Under in winter conditions, on ice, under snow  
12 most likely?

13 A (Barnum) I don't know if the river freezes over  
14 at this location.

15 Q For the most part it does.

16 So if you're saying that they fall into the  
17 river, then it's quite likely that the bird  
18 deaths would be missed; is that fair to say?

19 A (Barnum) That's a possibility, yes.

20 Q So we have a situation where what might be a  
21 minimization actually is quite unlike, the  
22 impetus for the minimization is a marker that we  
23 might not ever actually see.

24 A (Barnum) That's correct. Yes.

1 Q In addition, you had said that the reason why  
2 markers aren't put up to start with is because  
3 they tend to ice up and cause line failures. Is  
4 that correct?

5 A (Barnum) There's multiple reasons why markers  
6 aren't just placed routinely on lines.  
7 Operational issues are one thing. Icing. They  
8 also, more wind loading, other kinds of damage,  
9 and that can lead to reliability problems. In  
10 addition, there's aesthetic conditions. And  
11 then the maintenance, you can place the, you  
12 place the markers, but then they have to be  
13 maintained, and so that is another  
14 consideration. The east of maintenance, et  
15 cetera.

16 Q So we're already going to have in all of these  
17 places in addition to areas along the bank where  
18 the towers are quite close to the bank, we  
19 already have aesthetic issues for people who  
20 will, this is a tourism location, we have  
21 campgrounds, we have kayakers coming down,  
22 campers. So an aesthetic consideration is one  
23 that would need to be taken into account in  
24 this, I would think?

1 A (Barnum) I would agree with that, yes.

2 Q Okay. Is there, have there been any studies  
3 down on the failure rate of stringing the high  
4 voltage lines across a body of water like a  
5 river?

6 A (Barnum) I'm not aware of any of those, but  
7 that's not my field of expertise either.

8 Q So even if we did put up the markers, they  
9 would, in order to -- okay. So we've got sort  
10 of a multi-tiered thing. If the birds do strike  
11 the lines, which you said is more likely because  
12 of them being multiple and not even being, if I  
13 can say, always at 110 and 75 or the distance  
14 between the lines varies from crossing to  
15 crossing, that is more likely to have an impact  
16 on the birds. If they do strike the lines we  
17 might not know that they were striking the  
18 lines; is that, just to review, is that a fair?

19 A (Barnum) That sounds like a fair summary, yes.

20 Q If by any chance people were really watching for  
21 them and sort of noticed the birds' carcasses  
22 and yielded an installation of markers, we would  
23 then run, we would have impact upon aesthetic  
24 concerns and tourism; is that fair to say?

1 A (Barnum) That's a potential, yes.

2 Q And it would, we don't know what kind of failure  
3 rate there is given that it's over a body of  
4 water and wind is a concern coming, because  
5 there's no tree cover over the water, can you  
6 tell me what happens if a line fails and falls  
7 into a river?

8 A (Barnum) I can't. That's not my area of  
9 expertise.

10 Q Okay. From what I've read, it's an  
11 electrical --

12 MR. WALKER: Objection.

13 MS. TOWNSEND: Okay.

14 MR. WALKER: Seems to be that there's some  
15 testimony here outside of the questions.

16 PRESIDING OFFICER HONIGBERG: I tend to  
17 agree. What's the question you were about to  
18 ask?

19 MS. TOWNSEND: I was going to ask what  
20 effect it might have on specific species that  
21 were touching the ground.

22 PRESIDING OFFICER HONIGBERG: You could  
23 certainly ask that question. I'm not sure  
24 anybody knows the answer, but you can certainly

1 ask that.

2 BY MS. TOWNSEND:

3 Q What effect would it have on species that were  
4 touching the ground?

5 A (Barnum) Again, that's not my area of expertise.  
6 I can't comment on that.

7 Q Can you explain how a bird electrocution happens  
8 in the case where they're touching wires, for  
9 example?

10 A (Barnum) Bird electrocution? Birds are  
11 generally electrocuted when they touch two  
12 different energized portions of the structure.  
13 Most electrocution or all electrocution happens  
14 through perching and is generally larger birds  
15 who have either the height or the wing span to  
16 touch two energized portions of the structure.

17 Q Not that you have technical expertise in what  
18 happens when a live wire is dropped into a  
19 river, but what do you imagine might be the  
20 impact?

21 A (Barnum) I assume that the electricity travels  
22 through the water and that there's some risk to  
23 animals in the water because of that.

24 Q Thank you. Can we move on to the next?

1           So here is a data response that we  
2           received. It's listed as ADN ABTR Exhibit 47.  
3           We asked, please describe in detail Eversource's  
4           plans for maintaining the right-of-way at each  
5           river crossing while minimizing the disruption  
6           to river banks, including without limitation  
7           methods to be utilized by Eversource or  
8           subcontractors' equipment to carry out the  
9           right-of-way maintenance and each access road  
10          layout and maintenance of each access road.

11           And the response was, Eversource will  
12          continue to manage the right-of-way consistent  
13          with its current right-of-way management  
14          policies which comply with the Best Management  
15          Practices Manual for Utility Maintenance in and  
16          Adjacent to Wetlands and Water Bodies in New  
17          Hampshire, and it's dated 2010. Stream and  
18          wetland crossings when necessary are conducted  
19          under a utility maintenance notification to New  
20          Hampshire DES. Major rivers are typically not  
21          crossed by vehicles or heavy equipment unless a  
22          bridge or culvert is present. To the extent  
23          that existing access roads are present, they may  
24          be used for maintenance access.

1           Okay. And can you put up the next?

2           So here's one exhibit of current  
3           right-of-way maintenance using the current  
4           right-of-way management policies. Does that  
5           look like it is an erosion risk, Ms. Carbonneau?

6       A     (Carbonneau) I'm not sure. I would need to look  
7           at this in the field and get a better view of  
8           it.

9       Q     Okay. Do you recall the exhibit that Max Stamp  
10           showed of Blake Hill Road with the undercutting  
11           erosion below the power lines?

12      A     (Carbonneau) Yes, I believe I do.

13      Q     Okay. Do you think that those are, do you find  
14           that those practices would be conducive to  
15           nonerosion on the river?

16      A     (Carbonneau) The practices that are currently  
17           being used? I believe that there is some value  
18           in leaving woody vegetation along a steep stream  
19           bank, to the extent that that doesn't interfere  
20           with the lines above it. I don't agree that  
21           that could be the only reason why there might be  
22           erosion in that location. I mean, erosion and  
23           bank changes are part of the natural process of  
24           rivers in some cases. There's always a bank

1 that's being cut, and another one that's being  
2 formed so rivers are dynamic. In any given  
3 location, you'd have to do a little research to  
4 determine whether or not activities that are  
5 ongoing are actually contributing to that. I  
6 think in some cases the right-of-way maintenance  
7 activities that have happened over decades may  
8 have contributed to erosion in some locations.

9 Q And yet, those same management practices are the  
10 ones that are going to be carried forward by  
11 Northern Pass?

12 A (Carbonneau) Well, don't forget. Some of these  
13 rights-of-way have been around for decades and  
14 the BMP manual's been around for less than one  
15 decade. So they are always adapting their  
16 management methods to comply with the  
17 regulations that are in hand, and I believe I've  
18 heard some testimony or read some testimony from  
19 the Construction Team that they may make some  
20 modifications in areas that are immediately  
21 adjacent to some of the rivers where there's  
22 crossings and where they do right-of-way  
23 maintenance.

24 And, in fact, I know that Eversource did a

1 study or actually went out and did a survey at  
2 the Pemigewasset River crossings and made some  
3 recommendations in their report about how they  
4 might modify their right-of-way maintenance in  
5 those locations going forward.

6 Q When would you expect those to take effect?  
7 Because these are recent photographs. There's  
8 been no change.

9 A (Carbonneau) I'm not an Eversource maintenance  
10 employee. I don't know what their time frame  
11 is. I think it's a commitment that's been made  
12 since the Northern Pass review of the  
13 right-of-way took place, but I can't speak for  
14 the Eversource maintenance folks.

15 Q You understand that PRLAC has been bringing this  
16 to Eversource's attention year after year?

17 A (Carbonneau) Again, I'm not an Eversource  
18 employee. I'm working on the Northern Pass  
19 Project. So to the extent that it's been  
20 brought up in the context of Northern Pass, I am  
21 familiar with it, but what's gone on before  
22 that, I'm afraid I'm not.

23 Q Okay. But aside from a few comments that you  
24 thought you heard on the Construction Panel,

1           what we have is a promise to keep the Best  
2           Management Practices that are being used now.  
3           Can you understand why we would have some  
4           concerns about a continuation of that BMP?

5           A     (Carbonneau) I can certainly appreciate  
6           concerns, yes.

7           Q     Who coordinates the activities of the  
8           Environmental Monitors?

9           A     (Carbonneau) Well, as I understood it, there  
10          will be Environmental Monitors that are hired  
11          directly by the Construction Team and the  
12          contractors, I should say, and I believe that  
13          there are some Environmental Monitors that will  
14          also work for Eversource directly during  
15          construction. Who coordinates them? I don't  
16          know that anyone has been named a coordinator,  
17          and I'm not sure exactly how the hierarchy is  
18          going to work.

19          Q     How would a number of, given that there may be  
20          up to 30 Monitors at one time, can you imagine a  
21          situation in which they did not need  
22          coordination?

23          A     (Carbonneau) I'm sure that they will be  
24          coordinated. I'm not saying they won't. I just

1 don't know how exactly that's going to take  
2 place.

3 Q When would you know?

4 A (Carbonneau) That's a construction-related  
5 question. We're not necessarily involved in  
6 sorting that out at this point, but there's  
7 going to be a mentoring plan that's developed  
8 which will have most of that information in it.  
9 So the tasks of the Environmental Monitors have  
10 been identified. The exact number and how  
11 they're going to be coordinated, I'm not sure  
12 that has been developed yet. I think that's one  
13 of the plans that needs to be submitted to New  
14 Hampshire DES at least 90 days before  
15 construction. So I'm assuming that all those  
16 details would be worked out by then.

17 But I'm sure there will be some type of  
18 coordination between the Monitors that are in  
19 the field and an oversight Monitor or Monitors  
20 who have responsibility for the different  
21 sections of the Project. I think the  
22 Construction Panel alluded to sort of a  
23 northern, a central and a southern set of  
24 Monitors, and then there will likely be someone

1 in charge of the Regional Monitors. So I'm  
2 guessing that's how the structure will be set  
3 up, but, again, I don't know the details yet.

4 Q Is your assessment of the impact of the Project  
5 based on your understanding that there will be  
6 somebody coordinating some middle level of  
7 Environmental Monitoring where they're  
8 coordinating on their Monitors?

9 A (Carbonneau) I'm not sure I understand your  
10 question.

11 Q If there were only to be Monitors that were  
12 hired by construction companies and the  
13 possibility of appealing something to the DES,  
14 would you have the same assessment of the impact  
15 of the Project on endangered species and on the  
16 environment?

17 A (Carbonneau) I'm not sure I know how to answer  
18 that. What I can tell you is Environmental  
19 Monitoring is very important. The Environmental  
20 Monitors will need to have the ability to stop  
21 work to prevent additional impacts beyond what  
22 has already been assessed for the Project in the  
23 Permit Applications.

24 The Application materials assume that

1 monitoring will take place and that additional  
2 impacts will be avoided through the monitoring  
3 process to make sure that, you know, accidental  
4 impacts don't occur. And there's a very good  
5 reason for that to happen because if the Project  
6 doesn't recognize those ahead of time, the work  
7 can be shut down. They could be in violation of  
8 their permits, and the work would be shut down  
9 which would be a much greater hardship than to  
10 step back, stop, fix a problem and then move  
11 forward so --

12 Q Who would be reporting them?

13 A (Carbonneau) The Monitors will report to the  
14 folks that are responsible for construction, the  
15 foremen in the field, but they will also be  
16 responsible for notifying New Hampshire DES of  
17 any egregious issues that take place, and  
18 regular monitoring reports to New Hampshire DES  
19 will be required during the construction process  
20 so the Monitors will have responsibility for  
21 informing both the Project and the regulators.

22 Q But you're describing Monitors who are  
23 specifically the ones that are hired by  
24 contractors; is that correct?

1 A (Carbonneau) I don't know how Monitors hired by  
2 the contractors versus Monitors hired by the  
3 Project will be different, if they will. I'm  
4 not sure. I'm just not familiar with exactly  
5 how that's going to work and who's going to hire  
6 who at this point.

7 Q It does seem confusing. I wonder how you're  
8 able to make a firm assessment of impact when  
9 you don't have a firm plan for monitoring.

10 A (Carbonneau) There is a firm plan for  
11 monitoring, and that will be these are the tasks  
12 that they need to do and here is their  
13 responsibility. How that gets implemented  
14 requires a little bit more thought from the  
15 Project and input from the contractors.

16 So, I mean, there's no question that it's  
17 going to have to take place. The tasks that the  
18 Monitors need to do have been spelled out in our  
19 Application materials as well as in the permit  
20 conditions that came from New Hampshire DES.  
21 They're also spelled out in the avoidance and  
22 minimization measures for wildlife and rare  
23 plants.

24 So these are things that have to take

1 place. I just, you know, we're not at  
2 construction yet so those individuals haven't  
3 been hired yet, the exact chain of command is  
4 not something I'm familiar with. I believe it's  
5 being considered now, but I just don't have  
6 those details.

7 Q Okay. But you're asking the Committee to assess  
8 the impact, the possible impact on these  
9 species, but there isn't a plan in place for how  
10 the monitoring is going to work?

11 A (Carbonneau) This is pretty typical of a  
12 construction project. The information that's  
13 been provided is very specific about what the  
14 Monitors need to do and where they'll need to do  
15 it and what abilities they need to have and  
16 their ability to actually stop work if  
17 necessary. By naming individuals or providing  
18 an exact chain of command, I don't think that's  
19 critical for an evaluation of this Project.

20 You know, the impacts have been estimated  
21 based on standard construction procedures. All  
22 of the details that have been provided already  
23 in the Permit Application for the design, for  
24 avoidance and minimization measures. Those

1 impacts are a fairly well quantified and  
2 identified. And the Environmental Monitors are  
3 there to make sure that the plan that's been  
4 devised is implemented properly. I think that  
5 is a good plan, and it's going, you know,  
6 exactly who does what and who they report to I  
7 think is less important than the fact that  
8 here's what needs to be done to be in compliance  
9 with the plan, and, therefore, all of the  
10 permits and the permit conditions. And those  
11 things may change a little bit. I mean the SEC  
12 has an opportunity to provide their own  
13 conditions so, you know, there's a lot of  
14 information available at this point in time for  
15 review by the SEC.

16 Q Can you understand a concern that Environmental  
17 Monitors exclusively that are hired by the  
18 construction companies would tend to minimize  
19 their report of impacts to the construction  
20 companies because they're being paid by the  
21 construction companies, and then where is the  
22 teeth behind any of the things that you're  
23 recommending.

24 A (Carbonneau) The teeth are in the Permit

1 Conditions. If they're not followed, if they're  
2 not adhered to, they can be fined, they can have  
3 the Project shut down. They'll be in violation  
4 of their permits. That's teeth.

5 Q Who would be reporting them?

6 A (Carbonneau) The Environmental Monitors are  
7 responsible for doing that, and they understand  
8 that there is going to be additional Monitors  
9 out there, possibly from the public, probably  
10 from the State, who will be checking in and  
11 making sure that everything is followed. So I  
12 don't believe they're all going to be paid by  
13 the contractors. I think Eversource has said  
14 there will be Environmental Monitors working for  
15 them as well, and they're the permit holders.  
16 Their names are on these permits so they need to  
17 be sure that they are following all of the  
18 requirements in their permits.

19 Q But what you just said, you said that the  
20 Contractor Monitors will know that there is  
21 somebody else who will be overseeing what  
22 they're doing and potentially reporting on them.  
23 But 15 minutes ago you said that you didn't know  
24 whether there would be a second level, a level

1 of monitors who are coordinating other Monitors  
2 or overseeing other Monitors. So I don't know.  
3 Which is it?

4 A (Carbonneau) I think that we're not answering  
5 quite the same question.

6 Q Okay.

7 A (Carbonneau) I thought you were speaking about a  
8 hierarchy of Monitors from the Project, and I  
9 don't know exactly how many Monitors they'll be  
10 at each level that the Project is overseeing. I  
11 fully believe they'll probably be many other  
12 eyes on the Project, and I don't know to what  
13 extent those Monitors will be working for New  
14 Hampshire DES or other folks that have an  
15 interest.

16 I know from my experience that New  
17 Hampshire DES does do spot checks of work on  
18 Projects. So does the Army Corps of Engineers,  
19 and they have an interest in these permits as  
20 well.

21 Q But that's a little bit of a black box at the  
22 moment as to who might report a problem with  
23 implementing any of the BMPs.

24 A (Carbonneau) It's not a black box in my mind. A

1 Monitor goes out, and they report what's going  
2 on in the field, and they include that in their  
3 report. We've done monitoring, and we do that  
4 as well, and we don't hold back that  
5 information. It needs to be brought to the  
6 attention of the Project Directors, but all of  
7 those monitoring reports and field inspection  
8 reports go to the New Hampshire DES as well.

9 Q So it sounds like you're relying fairly heavily  
10 on DES and on the Agencies in this process?

11 A (Carbonneau) We're relying on the Monitors. The  
12 monitoring is a very important process in this.  
13 And if there's a violation, if it's small and it  
14 can be corrected right away and restoration  
15 takes place, then that's what takes place and  
16 it's documented going forward.

17 If there's a more serious problem, then the  
18 Project work stops in that location and  
19 additional coordination with the Agencies is  
20 required.

21 Q In developing plans and guidelines for how  
22 Environmental Monitors would work once you have  
23 necessary design details that you don't  
24 currently have, including placement of the

1 underground route, you've said that you would  
2 work closely with DES and other Agencies on  
3 developing those plans and guidelines. Is that  
4 a fair characterization? The outstanding BMPs?

5 A (Carbonneau) Well, I can't speak for  
6 construction-related BMPs for the underground.  
7 Maybe Jake can add to that. But for the  
8 environmental permits that we're working on  
9 right now, all of the Best Management Practices  
10 and avoidance and minimization measures with the  
11 exception of a few details on the  
12 wildlife-related ones have been submitted or  
13 referenced in the documents. So I don't think  
14 there are big holes in the process or the  
15 procedures that are planned to be followed.

16 Q So I would refer to, so Mr. Tinus, can you  
17 describe how people are going to understand  
18 whether their wells are within a blasting range?  
19 Do they know now?

20 A (Tinus) Well, we don't know all the places that  
21 we would conduct blasting at this point.

22 Q Why is that?

23 A (Tinus) There are, there's information that's  
24 still to be collected along the overhead route

1 for geotechnical information, but as I stated  
2 previously, it's the intention of the  
3 construction folks and the contractors to limit  
4 the amount of blasting. This is a, blasting is  
5 a last resort.

6 Q That wasn't actually my question. My question  
7 was to what extent are these details being  
8 worked out still now. Do you people know where  
9 the lines are going to be in underground to the  
10 north?

11 A (Tinus) Very close to what was submitted with  
12 the original drawings, yes. They're making some  
13 changes, making some adjustments. Right now  
14 they're working on final design plans. So those  
15 will be submitted shortly. DOT is going to need  
16 to look at those.

17 Q So they aren't actually set now so there are  
18 still things to be decided about?

19 A (Tinus) Sure. Right.

20 Q About the Best Practices.

21 A (Tinus) Well, the Best Practices are very  
22 similar to the, they're construction practices  
23 so they're typical construction practices.  
24 You're still going to need erosion control

1 measures along the road where there's potential  
2 sensitive resources. You're going to have a  
3 plan that addresses any potential issues  
4 associated with horizontal directional drilling.  
5 It's not anticipated that there's going to be  
6 problems. That's why you have these BMPs in  
7 place to prevent problems. So the plans will be  
8 submitted 90 days ahead of construction so  
9 there's going to be more detail forthcoming in  
10 that regard.

11 Q Okay. And then they'll be worked out after  
12 that.

13 A (Tinus) As far as specifics, in terms of what's  
14 required in which location, again, I think the  
15 drawings that were submitted, we have shown, for  
16 example, erosion and sediment control barriers  
17 in a general sense. Now, that doesn't mean that  
18 we know specifically we're going to just silt  
19 fence and straw waddles or compost mulch berms  
20 or perhaps all three in some locations to have a  
21 triple layer of protection. It varies from  
22 location to location. Contractors do have to do  
23 some more analysis in the field. Lockdowns,  
24 they're called. And they will on a case-by-case

1 basis take a look at each location to figure out  
2 what's right. And I expect that they'll be  
3 environmental folks along with the contractors  
4 so that they're very well versed in where  
5 sensitive resources are in the context that  
6 they're looking at.

7 Q So. For example, people from New Hampshire Fish  
8 & Game?

9 A (Tinus) Well, I mean, part of the requirement of  
10 the permit conditions is that we continue to  
11 work with Fish & Game. That's not typically  
12 done, but perhaps. You know. They could be  
13 consulted and brought in to take a look if  
14 that's deemed necessary.

15 Q Okay. Thank you. Dr. Barnum, you had been  
16 talking about on the 14th about the small-footed  
17 bat. You noticed that there is no avoidance,  
18 Best Management Practice now for the  
19 small-footed bat but you were actively engaged  
20 in developing better or further avoidance and  
21 minimization measures and that a pre bat survey  
22 would be crucial to avoidance, but that the Best  
23 Management Practice hasn't been written yet. Is  
24 that fair?

1 A (Barnum) That's correct. Yes.

2 Q Okay. What is the process by which, or how do  
3 you interact with New Hampshire Fish & Game or  
4 Natural Heritage Bureau to determine whether  
5 Monitors have the correct credentials for  
6 monitoring the specific species that they're  
7 being sent to work on?

8 A (Barnum) In the case of species where handling  
9 is required, they'll have to, Monitors will have  
10 to hold a handling permit. It's up to Fish &  
11 Game to review the credentials of those folks  
12 and decide whether they qualify or not. In the  
13 case of bats where potentially handling won't be  
14 required, where the monitoring could take place  
15 through other methods, there is no existing  
16 document specifying what qualifications Fish &  
17 Game would like to see, and so we're going to  
18 have to discuss that. That's part of what we're  
19 developing now because they don't have those  
20 existing standards for us to work from.

21 Q Okay. So is it fair to say that your assessment  
22 of the impact is in part based on an  
23 understanding that you will continue to be able  
24 to work with New Hampshire Fish & Game and DES

1 with their current staffing levels?

2 A (Barnum) I'm not sure I understand your  
3 question.

4 Q Do you assume that those Agencies are going to  
5 interact with you at the same level that they  
6 interact with you now?

7 A (Barnum) That is part of what we're discussing,  
8 what level of oversight or interaction will be  
9 required based on the methods we develop for  
10 going forward.

11 Q What would happen if many of the staff members  
12 that you were currently working with were laid  
13 off?

14 A (Barnum) If the agency doesn't have staff to do  
15 their job, then the agency can't do their job.  
16 That's not just, wouldn't just affect our  
17 Project. That would affect all projects  
18 throughout the entire state.

19 Q I totally agree. Yes.

20 What I'm asking is really to what extent  
21 does your assessment of how this next stage  
22 works depend on continuous staffing of those  
23 Agencies?

24 A (Barnum) If the agencies don't have staff to do

1           their jobs, they can't do their jobs.

2           Q     Okay. So this is just to give a little bit of  
3           context for some of the concerns that we might  
4           have over this issue. The first article is from  
5           Scientific American. It's talking about cuts to  
6           environmental monitoring and to environmental  
7           Agencies, federal and state. This first, I've  
8           got some sections underlined there, but they say  
9           the cuts would strike hard at the core of the  
10          nation's primarily institutional guardian of the  
11          environment, the USEPA. They would slash the  
12          agency's budget by 31 percent, eliminate EPA  
13          positions out of about 15,000 and reduce its  
14          Office of Research and Development budget by  
15          almost half.

16                 It continues, even EPA's staff who are not  
17          directly involved in monitoring help run grant  
18          programs for outside groups that track the  
19          environment and a number of those positions  
20          could get cut as well.

21                 And then the next article, please.

22                 This article is talking about the cuts to  
23          the Department of the Interior as well.

24                 If enacted Trump's budget proposal would

1 offset a 54 billion boost to defense spending by  
2 cutting foreign aid and domestic programs. This  
3 includes a proposed 12 percent decrease to the  
4 Department of the Interior budget which is  
5 likely to slash resources needed to manage  
6 public and private lands, support state  
7 management of Fish & Wildlife, and enact  
8 conservation across the country.

9 And this next one. This is just from the  
10 website of New Hampshire Fish & Game, confirming  
11 that federal funds make up 33 percent of the New  
12 Hampshire Fish & Game budget. And then the last  
13 article?

14 They're not just threats. People are  
15 actually already starting to be laid off.  
16 There's an existing hiring freeze at the EPA,  
17 but this last one, the Environmental Protection  
18 Agency plans on shedding more than 1200  
19 employees by early September through buyouts and  
20 early retirements as part of a broader push by  
21 the Trump administration to shrink a government  
22 entity the President once promised to eliminate  
23 in almost every form.

24 MR. WALKER: Mr. Chairman, is there a

1 question here? I think this is about the fourth  
2 article, and we don't have a question here.

3 PRESIDING OFFICER HONIGBERG: Is there a  
4 question that's going to be associated with  
5 these articles?

6 MS. TOWNSEND: Yes.

7 PRESIDING OFFICER HONIGBERG: What would it  
8 be?

9 MS. TOWNSEND: Is your assessment of the  
10 impact of -- she had previously said --

11 PRESIDING OFFICER HONIGBERG: What's the  
12 question?

13 MS. TOWNSEND: The question is whether, as  
14 Dr. Barnum said, if the agencies don't have the  
15 staff, how would the Environmental Monitors  
16 proceed and the hiring of the Environmental  
17 Monitors proceed. Would there be delays.

18 PRESIDING OFFICER HONIGBERG: And how were  
19 those articles related to that question?

20 MS. TOWNSEND: Because the assessment that  
21 Normandeau is making is contingent on assuming  
22 that there will be continued staff at the level  
23 that there is now.

24 PRESIDING OFFICER HONIGBERG: Yes,

1 Mr. Roth?

2 MR. ROTH: May I help her formulate a  
3 question for this?

4 MR. WALKER: Objection.

5 PRESIDING OFFICER HONIGBERG: There is no  
6 procedure in which that would be appropriate for  
7 you to do that, other than privately before she  
8 stood up here. Although I do understand that  
9 you have been assisting folks as they've been  
10 going to help smooth things out, and we  
11 appreciate that. Perhaps, why don't we take a  
12 two-minute break and nobody move, and you confer  
13 with Ms. Townsend, and then we'll see if we can  
14 get an unobjectionable process to ask these  
15 questions.

16 MR. ROTH: I think there's just one  
17 question I would --

18 PRESIDING OFFICER HONIGBERG: Why don't you  
19 take two minutes and discuss this.

20 MS. TOWNSEND: Thank you.

21 (Discussion off the record)

22 PRESIDING OFFICER HONIGBERG: Ms.  
23 Townshend, do you have a question?

24 MS. TOWNSEND: I do.

1 BY MS. TOWNSEND:

2 Q In light of all of these cuts to federal  
3 programs, and in light of Fish & Game's reliance  
4 on federal funding that is being cut, do you  
5 believe that they will be able to respond, Fish  
6 & Game, and the federal offices that you deal  
7 with, appropriately to your concerns, to your  
8 requests of them?

9 A (Barnum) I don't understand the structure of New  
10 Hampshire Fish & Game's funding sufficiently to  
11 make a comment upon how changes in that funding  
12 might affect their ability to carry out their  
13 jobs, particularly specific to this Project.

14 Q What happens if there's a delay in a monitor  
15 assessing an area?

16 A (Barnum) It's not Fish & Game's responsibility  
17 to get the Monitors out there so I don't see the  
18 connection here.

19 Q Leave aside the connection. If there is a  
20 delay, what is the effect on the Project if a  
21 Monitor is not able to immediately assess an  
22 area? Or if a Monitor is not immediately hired  
23 at the appropriate time?

24 A (Carbonneau) I guess I'm not understanding how,

1 if you think that the Agencies are hiring  
2 Monitors for this. The monitoring that we've  
3 been speaking of are Monitors that will be paid  
4 for by the Project.

5 Q So my question was about the outstanding BMPs  
6 that you are developing with Agencies as well as  
7 the process of hiring Monitors which you had  
8 said is reliant upon Fish & Game. They have to  
9 approve of the Monitors' credentials.

10 A (Carbonneau) Right, and I don't anticipate that  
11 that's going to require extensive amounts of  
12 hours from Fish & Game. The avoidance and  
13 minimization measures that we're working on now,  
14 they're not brand-new. We're making minor  
15 adjustments to things that we've been working on  
16 with them for many months. So from that  
17 perspective, I don't think there's a lot of work  
18 that remains to be done. It's very close to  
19 being done. As far as the ongoing consultation  
20 with them, we expect it to be continuing but not  
21 necessarily at the same level.

22 I mean, they've spent a lot of time looking  
23 in great detail at what has been proposed by the  
24 Project, and I can understand that's taken them

1 quite some time. But going forward, their  
2 participation will be needed in specific  
3 locations at specific times as opposed to  
4 something at the same level, but we can't speak  
5 to exactly how funding may affect their  
6 interaction with us. The Project's intention is  
7 to continue implementing the AMMs as they are  
8 finalized throughout the construction Project  
9 and report to Fish & Game, and what happens from  
10 there is going to be something that they will  
11 have to figure out.

12 Q As you said previously, is it the case that you  
13 consider that DES is the teeth behind the  
14 implementation of monitoring? If there is a  
15 problem with monitoring, are they the place to  
16 which you would or Fish & Game that people would  
17 appeal?

18 A (Carbonneau) Yes, I believe so. The New  
19 Hampshire DES Wetlands Permit incorporates the  
20 Fish & Game and the Natural Heritage Bureau  
21 concerns and areas of expertise under the  
22 umbrella of the State Wetland Permit.

23 Q If a number of those teeth were to go missing,  
24 would there be less teeth in the backup to the

1 implementation of the monitoring or on people  
2 having an opportunity to appeal where they feel  
3 that something is not being monitored or  
4 complied with or a species is being harmed?

5 A (Carbonneau) I can't speak to what would happen  
6 at New Hampshire DES. I know that the Project  
7 has submitted the Application materials with a  
8 pretty hefty Application fee, and my  
9 understanding is that fee, which is well over  
10 \$1,000,000, is in part to help fund New  
11 Hampshire DES's review of the Project during  
12 construction. But I don't know how their  
13 finances work beyond the fact that they require  
14 these Application fees because it's sort of,  
15 it's their self-sustaining process that they  
16 have in place for wetlands permits.

17 Q Okay. Given that matting may stay down all the  
18 way from the construction of foundations of  
19 towers through the stringing of the lines, might  
20 not a delay yield matting remaining in place for  
21 longer than recommended? And what would happen,  
22 what would likely happen to a species if, for  
23 example, matting had to stay down through a  
24 second breeding season?

1 A (Carbonneau) Well, that's kind of a hypothetical  
2 situation. I don't think the intent is to leave  
3 the matting down longer than is necessary, but  
4 the longer timber matting stays in place, the  
5 more detrimental the effect on certainly the  
6 plants that are under the matting so --

7 Q And species like turtles. Invertebrates.

8 A (Carbonneau) Potentially.

9 Q Jefferson salamanders.

10 A (Carbonneau) We didn't identify Jefferson  
11 salamanders that are actually breeding in any  
12 pools that will be temporarily impacted by the  
13 Project. We did find them in one pool, but that  
14 one's avoided.

15 Q All right. Thanks very much. That's my  
16 questions.

17 PRESIDING OFFICER HONIGBERG:

18 Dr. Publicover or Mr. Plouffe, who is going to  
19 be asking questions?

20 MR. PUBLICOVER: Mr. Plouffe is not  
21 available today.

22 PRESIDING OFFICER HONIGBERG: Okay. Dr.  
23 Publicover.

24 **CROSS-EXAMINATION**

1 **BY MR. PUBLICOVER:**

2 Q Thank you. David Publicover from the  
3 Appalachian Mountain Club and the NGO  
4 Intervenors Group substituting for Bill Plouffe,  
5 and I would like to thank Mr. Needleman and the  
6 Committee for being amenable to giving us this  
7 opportunity to ask a few followup questions of  
8 the Panel.

9 I'd like to take you back to Friday, June  
10 16th, when Mr. Plouffe was questioning the Panel  
11 about the exemplary northern hardwood seepage  
12 forest designated NHSF-1. You may recall the  
13 map, the confidential map of this community  
14 occurrence that we put up. I'm not going to  
15 show that, but for people who are privy, to the  
16 confidential information, it was NGO 121.

17 Now, during questioning by Mr. Plouffe, Ms.  
18 Carbonneau, you stated that the Natural Heritage  
19 Bureau had determined that because of recent  
20 logging of a portion of this community they no  
21 longer considered it exemplary.

22 Do you recall making that statement?

23 A (Carbonneau) Yes. And that was in relation to  
24 an email that I had received from Amy Lamb to

1           that effect.

2           Q     Have you subsequently learned anything that  
3                 would cause you to change that statement?

4           A     (Carbonneau) Directly from Natural Heritage  
5                 Bureau, no.

6           Q     All right. I'm going to put up a couple of  
7                 exhibits here.

8                         This is Exhibit NGO 129, and this is the  
9                 email you received from Amy Lamb on April 21st.

10          A     (Carbonneau) Yes.

11          Q     This was the basis for your statement that this  
12                 occurrence was no longer exemplary.

13          A     (Carbonneau) Yes.

14          Q     Do you do any followup with Natural Heritage to  
15                 confirm this?

16          A     (Carbonneau) No.

17          Q     Is this type of informal email, sort of  
18                 commenting on vacation plans, the way in which  
19                 Natural Heritage normally communicates official  
20                 information?

21          A     (Carbonneau) We communicate official information  
22                 by email all of the time. The fact that she  
23                 added this comment to email, an email related to  
24                 other business relevant information, that's

1           their choice, but I felt that this was, this  
2           came from the Natural Heritage Bureau. It was  
3           related directly to the questions that we had  
4           asked them and the information that we had  
5           provided so I took her at her word.

6       Q     All right. And I'm going to put up NGO 130.  
7           This is an email sent by Sabrina Stanwood, the  
8           head of Natural Heritage, to me after I asked  
9           them to confirm the status of NHSF 1.

10                 Would you please read the underlined  
11           portion of this paragraph? Actually, could you  
12           read that entire paragraph?

13       A     (Carbonneau) Your reference to an email from NHB  
14           to Normandeau dated April 21st, 2017, NHB stated  
15           that our general feeling is that the natural  
16           communities recently designated as exemplary  
17           would no longer be categorized in this way in  
18           light of the recent timber harvesting.

19                 This statement was made in error. The  
20           recent timber harvesting did not change the  
21           status of exemplary of NHSF-1 or NHSF-4 in our  
22           database.

23       Q     Thank you. And I'd add that that underlining  
24           was put in by Ms. Stanwood, not by me.

1           Now, for the opportunity for a few  
2           additional followup questions based on this  
3           misunderstanding. The Application describes  
4           NHSF-1 as being about 61 acres in size, correct?

5           A     (Carbonneau) I think that's correct.

6           Q     Application Appendix 35 Section 3.11.1.1 states,  
7           the full boundaries of this community have not  
8           been determined.

9                     So you really don't know how large it is.  
10           It could be significantly larger than 61 acres.

11          A     (Carbonneau) I believe that we went out  
12           subsequent to the materials that you just  
13           referenced and got a better handle on the size,  
14           but it wasn't necessarily a complete assessment  
15           of the area.

16          Q     In fact, as you've mapped it, and I don't want  
17           to have to clear the room and put the map back  
18           up, some of the boundaries you mapped actually  
19           follow straight along the edge of the corridor  
20           and natural communities wouldn't follow a  
21           straight line like that. Is that correct?

22          A     (Carbonneau) They could. They might not.

23          Q     All right. Now, I believe that we established  
24           during Mr. Plouffe's questioning that there are

1 15 documented exemplary occurrences of this  
2 community type in the State including the two  
3 documented by Normandeau's surveys, that the  
4 largest is about 68 acres. The next largest  
5 after NHSF-1 is 23 acres. Do you dispute this?

6 A (Carbonneau) I don't know the details, but I  
7 can't dispute it or accept it.

8 Q I can put up an exhibit confirming it or you can  
9 accept what I say.

10 PRESIDING OFFICER HONIGBERG: I think she's  
11 willing to accept it for purposes of this  
12 question. And you're not allowed to talk over  
13 each other. If she's talking, you need to wait  
14 until she's done.

15 Q All right. I apologize.

16 All right. Section 2.21 of Application  
17 Appendix 35 states, this community is considered  
18 potentially exemplary due to its large size,  
19 remote location, relatively pristine condition,  
20 rich soils and large seeps. In addition, it  
21 contains 8 state watch or indeterminate plant  
22 species. Don't these facts make NHSF-1 a very  
23 significant example of this rare natural  
24 community type?

1 A (Carbonneau) I don't know if I would say it's  
2 very significant. I'm not the botanical expert,  
3 but we did submit this information to the  
4 Natural Heritage Bureau for their assessment so  
5 that they could compare it to other locations,  
6 and they agreed that it was exemplary. So we  
7 first identified it as a potential exemplary  
8 natural community, we give the information to  
9 them, and they make the final determination.

10 Q All right. The Application states that the new  
11 right-of-way would permanently clear 24 percent  
12 of this occurrences mapped, correct?

13 A (Carbonneau) Yes.

14 Q And the remaining part of community would be  
15 subject to its effects that it could extend  
16 several hundred feet into the interior, correct?

17 A (Carbonneau) I don't think that was a statement  
18 in our Application materials.

19 Q No, it's not. I'm asking that question. The  
20 remaining part would be subject to edge effects  
21 from the cleared corridor.

22 A (Carbonneau) Potentially.

23 Q You did not document or consider edge effects in  
24 your natural communities report, did you?

1 A (Carbonneau) We did not calculate impacts beyond  
2 the cleared right-of-way.

3 Q So doesn't that mean that your assessment  
4 understates the extent of the Project's impacts  
5 on this rare natural community occurrence?

6 A (Carbonneau) Well, the potential effects, the  
7 edge effects that you're talking about, are not  
8 evenly distributed in that area. Different  
9 effects could extend different amounts. There's  
10 a lot of variables there so we stuck to the  
11 known footprint of the Project within the plant  
12 community.

13 Q Unlike the logging impact, the impacts from the  
14 clearing of the corridor would be essentially  
15 permanent, correct?

16 A (Carbonneau) Yes.

17 MR. WALKER: Objection, Mr. Chairman. This  
18 is going beyond. I mean, this is an area that's  
19 been covered in prior questioning, and this is  
20 going beyond the one change that we were  
21 allowing Mr. Publicover to discuss today.

22 PRESIDING OFFICER HONIGBERG: You want to  
23 respond?

24 MR. PUBLICOVER: I believe I was given the

1 opportunity to ask followup questions about this  
2 community occurrence that were not asked by  
3 Mr. Plouffe because of the misunderstanding  
4 about its status.

5 PRESIDING OFFICER HONIGBERG: So these  
6 questions are specifically directed to the one  
7 area -- let me finish. You can't talk while I'm  
8 talking or the transcript won't be readable.  
9 Okay?

10 So these questions are directed at the same  
11 community that where the answer has been amended  
12 or updated in light of these emails?

13 MR. PUBLICOVER: Yes.

14 PRESIDING OFFICER HONIGBERG: And no other  
15 areas?

16 MR. PUBLICOVER: No.

17 PRESIDING OFFICER HONIGBERG: You may  
18 continue.

19 MR. PUBLICOVER: And I only have one more.

20 BY MR. PUBLICOVER:

21 Q All right. SEC Rule Site 301.14(e) states in  
22 part, in determining whether construction and  
23 operation of a proposed energy facility will  
24 have an unreasonable adverse effect on the

1 natural environment, including rare natural  
2 communities, the Committee shall consider, one,  
3 the significance of the affected rare natural  
4 communities, and, 2, the nature, extent and  
5 duration of the potential effects on the  
6 affected rare natural communities.

7 Given this guidance and rule, a severe and  
8 permanent impact to a highly significant rare  
9 natural community occurrence would be considered  
10 an unreasonable adverse effect. Would it not?

11 A (Carbonneau) Well, there are other  
12 considerations as well that you did not read,  
13 and it also includes what the Agencies have,  
14 their input on this as well as what mitigation  
15 is being proposed. So those are not the only  
16 two factors that the SEC is required to review.

17 And we have made the determination that  
18 that is not an unreasonable adverse effect  
19 overall for the Project, and that the effect on  
20 that particular community given that there are  
21 others, that it's fairly common in the North  
22 Country, that that was not a significant impact  
23 to that type of northern hardwood seepage  
24 forest.

1           In addition, it has been at least half  
2           cleared now and anyone who walked out there,  
3           whether it was actually considered exemplary or  
4           not, would be able to see that the logging has  
5           basically removed the tree canopy, the logging  
6           equipment has run all over the ground out there,  
7           and the remaining community is potentially  
8           susceptible to the same logging activity. We  
9           don't know if that logging that happened in 2016  
10          is the beginning of additional logging in that  
11          area or not, but we're comfortable with the  
12          assessment that we made. We're comfortable with  
13          the impacts that we provided for review on that,  
14          and Natural Heritage Bureau had agreed, even  
15          when we thought it hadn't been cut over, that  
16          the mitigation that we were providing on the  
17          Project would adequately address all of their  
18          concerns.

19          Q     All right. Just one or two followups based on  
20          her answer.

21                 If this community type is so common and  
22                 ordinary, why does the NHB status require us to  
23                 clear the room before we put up a map showing  
24                 where it was?

1 A (Carbonneau) I'm not sure that the exemplary  
2 natural community information is as sensitive as  
3 the actual location of individual rare plants,  
4 and there are no listed plants in this  
5 community. However, all of our Natural Heritage  
6 Bureau data is usually combined so we have exact  
7 rare plant locations and natural community  
8 information. We want to make sure that we don't  
9 slip up and reveal something that we're not  
10 supposed to. The northern hardwood seepage  
11 forest, those natural communities are common in  
12 the North Country. They're not necessarily  
13 common elsewhere, which is one of the reasons  
14 why they're ranked as an S 3 community and not a  
15 more common S 4 or S 5 community which would be  
16 likely seen statewide.

17 Q All right. You've made the point multiple times  
18 that this community is common in the North  
19 Country, and I don't dispute that there are  
20 additional undocumented occurrences, but isn't  
21 it likely that most of those additional  
22 undocumented occurrences are either small or  
23 degraded by logging and roads and that large  
24 exemplary occurrences are actually quite

1 uncommon?

2 A (Carbonneau) I don't know enough about all of  
3 the other sites to know. I think that logging  
4 is pretty common activity up north so it's very  
5 likely that many of them have been logged, and  
6 I'm sure this one has been logged in the past as  
7 well. It's not pristine. It's not like it's  
8 never been cut. It's just at a more mature  
9 stage than perhaps some of the others that are  
10 out there.

11 Q All right. Thank you.

12 PRESIDING OFFICER HONIGBERG: All right.  
13 Let's take a 10-minute break.

14 (Recess taken 10:16 - 10:29 a.m.)

15 PRESIDING OFFICER HONIGBERG: We're going  
16 to resume with questions from the subcommittee  
17 starting with Mr. Wright.

18 **EXAMINATION BY DIR. WRIGHT:**

19 Q Thank you, Mr. Chairman. Ms. Carbonneau, I  
20 think my first question is for you, and if I  
21 flip back and forth between my glasses, it's  
22 simply because I can't tolerate bifocals yet.

23 A (Carbonneau) I may do that, too.

24 Q So I apologize for that.

1           On a number of occasions it's been  
2 mentioned that in terms of the wetlands impact  
3 of the Permit Application field by Northern  
4 Pass, it was prepared in terms of overestimating  
5 the impacts to wetlands; is that correct?

6   A   (Carbonneau) I would say it's a conservative  
7 approach. We were trying to accommodate a  
8 slightly larger footprint than is actually  
9 needed for the Project to allow the contractors  
10 a little bit of flexibility in exactly where  
11 they put their mats down. So it's a slight  
12 overestimation.

13   Q   Okay. I like your term of conservative versus  
14 what I was going to use was worst case so I like  
15 your term conservative much better.

16           Is that in terms of temporary impacts only  
17 or permanent impacts as well?

18   A   (Carbonneau) That's in terms of temporary  
19 impacts.

20   Q   Okay. And I think one of the examples you used  
21 was the width of the timber mats, 20 feet, which  
22 is what you permitted versus you believe they'll  
23 actually be 16 feet when deployed in the field.

24   A   (Carbonneau) Typically, the timber mats are

1 about 16 feet wide, yes. They may vary a little  
2 bit depending on the supplier.

3 Q Is there any other examples as to how you kind  
4 of were conservative in your approach?

5 A (Carbonneau) We made assumption that the work  
6 pads that are associated with each of the  
7 structures, the new Northern Pass structures,  
8 would be about 100 by 120 feet. In the field,  
9 especially if that's in a wetland area, the  
10 contractors may be able to reduce that  
11 footprint. If there is a slight encroachment  
12 into a stream, they can probably avoid doing  
13 that. But we wanted to make sure that we gave  
14 the contractor that flexibility without having  
15 to go back to New Hampshire DES Wetlands Bureau  
16 for more impacts that they could work within the  
17 footprint that was permitted, but we do expect  
18 in the case of the access roads and the work  
19 pads in wetlands that those impacts will  
20 probably be less.

21 Q We heard from both the Construction Panel and  
22 you just reiterated here that there would be  
23 in-the-field adjustments as you move along.  
24 What incentives are in place for you to minimize

1 the impacts if we permitted a very conservative  
2 scenario or worst case scenario?

3 A (Carbonneau) Well, one of the incentives is  
4 making sure that the Project continues to avoid  
5 and minimize impacts. That's actually a  
6 condition of our New Hampshire DES permit so  
7 there's an obligation for the Project  
8 contractors to do that. It also helps in the  
9 event that there is a new impact that might have  
10 to happen somewhere that wasn't permitted for  
11 some reason that we're not yet aware of, we want  
12 to make sure that additional impacts don't  
13 exceed what would be permissible for a permit  
14 amendment. And I don't think we'll get to that  
15 point, but by making sure that impacts are  
16 minimized, and that's part of the Monitors' job  
17 to make sure that that happens, we're providing  
18 a bump of safety for the Project Construction  
19 Team.

20 Q Okay. You kind of went where I was going next  
21 with this. I'm just trying to understand if by  
22 permitting conservatively, does that mean in no  
23 case will we have impacts above what's currently  
24 contained in the DES recommendations?

1       A       (Carbonneau) We're not expecting them. But we  
2       can't guarantee that there might not be  
3       something that has to change based on field  
4       conditions. For example, there could be a new  
5       beaver dam somewhere on the alignment that  
6       floods a new area and it ends up we have to  
7       treat that as a wetland in which case we might  
8       have to go back to New Hampshire DES and say  
9       things have changed out in the field, we need to  
10      address this additional area now as a wetland.  
11      And in that case, we would, we may need to have  
12      an expansion of the permits.

13             The contractors may also need, when they do  
14      their construction lockdown, they may find that  
15      rather than going right here, they actually have  
16      to move an access road a little bit for reasons  
17      that we are not aware of at this point. In that  
18      case, they may not increase the wetland impact  
19      but they might move it, and that is another, if  
20      it's outside of the permitted footprint we still  
21      would need to go back to New Hampshire DES.  
22      They have a mechanism for doing that. It's the  
23      Permit Amendment Process, and there's a  
24      limitation on how much additional wetland area

1           you can impact before you have to start over  
2           with a whole new Permit Application. But we  
3           have no qualms about what's been permitted. We  
4           think that we won't need to do a Permit  
5           Amendment like that.

6       Q     Okay.

7       A     (Carbonneau) We don't think we'll have to redo a  
8           Permit Application. We think we can work with  
9           what we have and that we've done as accurate a  
10          job as we can in identifying the likely impacts.

11      Q     Okay. Thank you. You kind of went where I was  
12          going next, and that was to try to understand  
13          what are the scenarios that you have to go back  
14          to DES and do some repermitting, but I'm hearing  
15          that's an unlikely scenario?

16      A     (Carbonneau) We've tried to include every  
17          anticipated impact for the Project so we do  
18          think it's unlikely but there can be  
19          unanticipated changes that are associated with  
20          this.

21      Q     Is there a minimum threshold level where you  
22          have to go back to DES in terms of changes?

23      A     (Carbonneau) No. No. Any change that is  
24          outside of the footprint that's been permitted,

1 even if it's a couple of feet, we would go back,  
2 or any increase at all in any square footage.

3 Q Do you do that before you make the change in the  
4 field?

5 A (Carbonneau) Yes.

6 Q You communicate with DES before you make those  
7 in-the-field changes?

8 A (Carbonneau) Yes.

9 Q Okay. I want to switch gears a little bit.  
10 Mr. Tinus. You're responsible overall for the  
11 Project in terms of the Water Quality  
12 Permitting?

13 A (Tinus) That's correct.

14 Q I just really briefly want to walk through the  
15 various permits that were required as part of  
16 the Application process.

17 A (Tinus) Okay.

18 Q There's, obviously, the DES Wetlands Permit  
19 which we've talked a lot, I think, so far so I  
20 won't ask you to provide what that permit is. I  
21 think most people understand that.

22 There's the DES Alteration of Terrain  
23 Permit, also known as the AOT permit; is that  
24 correct?

1 A (Tinus) Yes.

2 Q And what's the purpose of that permit?

3 A (Tinus) That's whenever you have alteration of  
4 land exceeding 100,000 square feet you need to  
5 prepare the permit plans with supporting  
6 engineering calculations, and it's largely a  
7 permit to manage stormwater in New Hampshire, if  
8 you will. So that it includes details on not  
9 only the structural elements of a site  
10 development but also, importantly, the  
11 stormwater controls, grading, you know, fill  
12 areas, and all the features that you're  
13 proposing.

14 In this Project, in the Northern Pass  
15 Project, there were, there's nine separate  
16 locations so nine separate sites, if you will,  
17 development sites as we're calling them, and  
18 then the accompanying remainder of the  
19 transmission line. So it's all included in the  
20 Alteration of Terrain Permit.

21 Q Does that extend to the linear underground  
22 section at all of the Project?

23 A (Tinus) It does. Those are shown on the  
24 11-by-17-inch sheets that are included.

1 Q Okay. And then there's the DES section 401  
2 Water Quality Certification. What's the purpose  
3 of that?

4 A (Tinus) That's correct. That's where the State  
5 certifies that by meeting the conditions that it  
6 imposes that you're not going to have an impact  
7 to water quality, adverse impact to water  
8 quality.

9 Q And then there's the DES Shoreland Protection  
10 Permit?

11 A (Tinus) Right. So I believe there's 39?

12 A (Carbonneau) 33.

13 A (Tinus) 33, okay, separate Applications that  
14 address the alterations within the protected  
15 shoreland area. So within the 250-foot setback  
16 area, there's different zones. For the purposes  
17 of our Applications, we address new impervious  
18 areas within those different 50-, 150- and  
19 250-foot lines that are included within the 250  
20 feet so the natural wooded buffer, and I can't  
21 remember the next one, but regardless, it  
22 describes the activities, describes the amount  
23 of impervious surface that we're adding which is  
24 negligible because there's very little other

1 than cutting going on in those zones to  
2 accommodate the transmission lines.

3 Q Would the impervious services be like the  
4 foundations for the structures?

5 A (Tinus) That's correct. That would be an  
6 impervious surface.

7 Q And then there's two federally required permits.  
8 The 404 Wetlands Permit?

9 A (Tinus) 404 Wetlands Permit or the Army Corps  
10 Permit, right.

11 Q And what is the status of that permit?

12 A (Tinus) That will, that was applied for  
13 simultaneously with this Project, but it  
14 includes a lot of the same information that is  
15 included in the Wetlands Permit, only there's  
16 different aspects, including an analysis of  
17 mitigation that's slightly different than the  
18 State. That's probably the biggest difference.

19 Q Was that the secondary impacts that we heard  
20 about earlier?

21 A (Tinus) Correct. Yes.

22 Q Have they issued a final permit in this case?

23 A (Tinus) No.

24 A (Carbonneau) No, they haven't. They have

1 reviewed the Application materials, and they are  
2 waiting for the outcome of the SEC process  
3 before they issue their permit.

4 MR. DAY: Mr. Wright, may I ask a question?

5 DIR. WRIGHT: Sure.

6 MR. DAY: So On the 404 permit, is that  
7 considered an individual Wetlands Permit or are  
8 you staying within the boundaries of a general  
9 permit being managed by DES?

10 A (Carbonneau) They are going to process it as an  
11 individual permit.

12 MR. DAY: Thank you.

13 A (Tinus) Although, arguably, the amount of impact  
14 is less than three acres and it could fall under  
15 the PGP, under strict interpretation. I think  
16 we wanted to be very cautious and provide as  
17 much information as we needed to to make sure  
18 that the Corps of Engineers was satisfied with  
19 the analysis.

20 MR. DAY: So it was your choice to go for  
21 the individual permit versus staying within the  
22 under 3 acres for the general permit?

23 A (Tinus) Lee is probably better to answer this  
24 one.

1 A (Carbonneau) Actually, our initial discussions  
2 with the Army Corps of Engineers who  
3 participated in all of our pre-Application  
4 meetings had indicated that they would consider  
5 it as general permit. More recently, they  
6 decided that they would process it as an  
7 individual permit because it gives the  
8 cooperating agencies more say in the review of  
9 it and an opportunity to impose some conditions  
10 if they choose to do that.

11 So either way, we were prepared to submit  
12 it as an individual permit so we made sure that  
13 we had provided all of that information, and  
14 then we just left it up to the core to make a  
15 final decision on how they would review it.

16 MR. WAY: And just one last question, Mr.  
17 Wright.

18 In terms of the individual permit, so I  
19 understand you're going to have a 404 federal  
20 permit and you're also going to have a DES  
21 Wetlands Permit or is it all one permit rolled  
22 in together?

23 A (Carbonneau) They are separate.

24 MR. WAY: They are separate with separate

1 leads. Thank you.

2 **BY DIR. WRIGHT:**

3 Q Does the Army Corps enforce their permit or is  
4 that delegated to DES?

5 A (Carbonneau) No. They enforce their own.

6 Q In reviewing parts of the Application, it came  
7 across, I think it was Appendix 48, there's a  
8 very extensive listing of interactions the  
9 company has had with State agencies including  
10 DES, Fish & Game, U.S. Fish & Wildlife Services.  
11 I think I counted, I think it was numbered and  
12 it was between 2010 and October of 2015, I think  
13 there was something like 104 separate  
14 communications with those agencies. Does that  
15 sound about right to you?

16 A (Carbonneau) Yeah, I think there's about that  
17 many, if not more. It's in the table.

18 Q My question was has that been kept up to date?  
19 That was filed, I believe, with the Application.  
20 That's why it ended in October. I assume that's  
21 been kept up to date?

22 A (Carbonneau) It has. I think in response to a  
23 Data Request we updated that, and I believe the  
24 last communication is somewhere around April of

1           2017. So yes, it's been updated. And I think  
2           that was the last update.

3           Q     Is that part of the record? I'm just curious.

4           A     (Carbonneau) Yes, that's part of the record so  
5           far, but, obviously, our consultations continue  
6           so there are things that have taken place that  
7           aren't yet in the record.

8           Q     Could you maybe talk a little bit about what's  
9           the importance of having those pre-Application  
10          meetings with the Agencies?

11          A     (Carbonneau) It gives the Project an opportunity  
12          to let the Agencies know what's being planned at  
13          a high level without detailed plan sheets, and  
14          gives the Agencies an opportunity to describe  
15          what their concerns could be, either from  
16          construction or from the natural resources that  
17          they're responsible for, what their expectations  
18          might be on what is submitted and what kinds of  
19          studies they think are appropriate for the  
20          Project. So it lays the foundation really of  
21          what is going to be submitted in the Application  
22          materials that will satisfy them and provide  
23          enough detail for their review.

24          Q     Do you know if part of their review, did DES

1           conduct any field inspections with the  
2           Applicant?

3           A     (Carbonneau) We did not inspect the entire  
4           right-of-way with DES. I went out with New  
5           Hampshire DES and the Army Corps of Engineers to  
6           look at the mitigation sites, and in the course  
7           of traveling from one to another, we stopped at  
8           a number of locations where the right-of-way,  
9           the new right-of-way or the existing  
10          right-of-way crossed major roads, and we got out  
11          and we walked and we talked about some of the  
12          impacts there.

13                     So we did a more intensive review of the  
14          Project area with the Army Corps of Engineers.  
15          We had many days in the field with them where  
16          we'd stop and look at the delineations, make  
17          sure they agreed with the way we had delineated  
18          the wetlands, hear any of their issues or  
19          concerns.

20          Q     Now, on March 1st, 2017, DES issued its final  
21          recommendations to the SEC, and that was  
22          specific to address those four DES permits that  
23          we spoke with earlier about Mr. Tinus, is that  
24          correct?

1 A (Tinus) That's correct.

2 Q That list of recommendations consisted 31 pages  
3 of conditions. Has everybody on this Panel  
4 reviewed all 31 pages of those conditions?

5 A (Tinus) We have.

6 A (Carbonneau) Yes.

7 Q Ms. Barnum?

8 A (Barnum) I reviewed the sections that were  
9 pertinent to wildlife.

10 Q Okay. In your professional experience, is there  
11 anything within those recommendations that was  
12 unexpected?

13 A (Carbonneau) I would say one thing that I had  
14 not seen before on any permit conditions was a  
15 requirement to have the Natural Heritage Bureau  
16 review and approve any seed mixes used on the  
17 Project area. That was a new one for me.  
18 That's never been required on any of my Projects  
19 before. I don't know. Jake?

20 A (Tinus) I think the stream crossing upgrades.  
21 In prior Projects, DES had conditioned that.  
22 But for Northern Pass they wanted us to go ahead  
23 and design where we would replace or upgrade  
24 culverts along certain access roads. So that

1 was new. And I would also say the gates and  
2 barriers along portions of the land that the  
3 Project will be crossing in the North Country,  
4 that was new, but I think that's in direct  
5 response to some of the concerns that were  
6 expressed about access from ATVs and whatnot.

7 Q I want to follow up on that one a little bit  
8 later.

9 Based on your understanding of the  
10 Applicant's plans, does anybody see any issues  
11 with the ability of the Project to meet the  
12 terms and conditions as outlined by DES?

13 A (Tinus) No.

14 A (Carbonneau) No.

15 A (Barnum) No.

16 Q In reviewing the DES recommendations, I counted  
17 at least 14 types of plans or reports that will  
18 be needed to be submitted to DES prior to  
19 certain activities. I have a list of them. I  
20 won't run through them all, but I want to hit a  
21 couple of them because they've been talked about  
22 so much, and that's the wildlife avoidance and  
23 minimization measures and time-of-year  
24 restrictions, rare, threatened and endangered

1 species and counterprotocol. Stream temperature  
2 minimization plan for cold water fish species.  
3 Stormwater pollution prevention plan, that's the  
4 SWPPP. I think we talked about that. Minor  
5 operation plan for underground stream crossings.  
6 This is related to the directional drilling and  
7 the microtunneling.

8 A (Tinus) Correct.

9 Q And how to respond to frackout situations.

10 Construction BMPs, inspection of  
11 maintenance plan, and then an oil spill  
12 prevention control and countermeasures plan.  
13 That's just a couple of them. Does that sound  
14 about right though?

15 A (Carbonneau) Oh, yes.

16 Q Did I miss anything big that in your mind is a  
17 plan that's due to DES?

18 A (Carbonneau) I think one of the biggest ones is  
19 the Water Quality Monitoring Plan.

20 Q Based on your understanding of the Applicant's  
21 plans, does anybody see any issues with the  
22 Applicant being able to develop and submit those  
23 plans to DES?

24 A (Tinus) No, and as soon as we're done with the

1 proceedings, that's what we're going to be  
2 getting busy to work on with the contractors.

3 Q I was going to ask that question. Ultimately,  
4 who is responsible for developing those plans?

5 A (Tinus) Right now it's Northern Pass/Eversource  
6 is going to be working with the contractors to  
7 develop though plans in consultation with DES.

8 Q Because, ultimately, it is the Applicant's  
9 responsibility to submit the plans.

10 A (Carbonneau) Yes.

11 A (Tinus) That's correct. Yes.

12 Q Whether they're developed by the consultant or  
13 the contractors or not, it's the Applicant's  
14 responsibility.

15 A (Tinus) Right.

16 Q What would happen if those plans were failed to  
17 be developed and submitted?

18 A (Tinus) Work cannot go forward until they are,  
19 and they need to be approved by DES, and they  
20 need to be in hand and followed.

21 Q Now, a lot of those plans are due 90 days prior  
22 to commencement of construction or what's  
23 related to this particular plan.

24 A (Tinus) That's correct.

1 Q That doesn't seem like a very long time period  
2 to develop something and submit it to DES for  
3 approval.

4 A (Tinus) Well, that's rest of this year.  
5 Hopefully.

6 Q Okay. Is it typical in your experience that the  
7 development of these plans and submittal after  
8 permit issuance, is that the normal course of  
9 business from what you've experienced in the  
10 past?

11 A (Tinus) Yes. For large projects, yes.

12 Q I think, Ms. Carbonneau, you stated this earlier  
13 today, you would recognize that SEC has the  
14 authority to require additional conditions or to  
15 require more stringent conditions than outlined  
16 in the DES recommendations?

17 A (Carbonneau) That's my understanding. Yes.

18 Q I want to talk a little bit about Environmental  
19 Monitors. There seemed to be some confusion  
20 about that. I think, Ms. Carbonneau, I think  
21 last Friday you gave the actual probably best  
22 description of what a typical day is like for an  
23 Environmental Monitor so that helped shape my  
24 mind a little bit. But I think we'd all agree

1           that Environmental Monitors are an extremely  
2           important component of assuring that this  
3           Project can meet its environmental regulations.

4           A     (Carbonneau) I would agree with that.

5           Q     And there is somebody within the Northern Pass  
6           structure who has the overall responsibility for  
7           ensuring environmental compliance; is that  
8           correct?

9           A     (Carbonneau) That's correct.

10          Q     So there would be an Environmental Project  
11          Manager employed by Northern Pass?

12          A     (Carbonneau) That's my understanding. I think  
13          the ultimate responsibility is with the Project  
14          Director for Northern Pass.

15          Q     And we've heard multiple times there's actually  
16          in my mind kind of two sets of inspection teams  
17          out there. There's the teams that are hired by  
18          the contractors in the field, and then there are  
19          Northern Pass, there's a Northern Pass team; is  
20          that accurate?

21          A     (Tinus) That's correct. Yes. And I think the  
22          Construction Panel testified, the way they  
23          envisioned it was sort of a north, central,  
24          south arrangement with a responsible part for

1 each of the regions, and a number of individuals  
2 under that responsible party that would report  
3 in to Eversource. So that would be going on  
4 with the Applicant as well as the contractors.

5 Q Okay. I know you can't comment yet as to how  
6 many environmental inspectors, but I think as  
7 you can see there's a lot of interest --

8 A (Tinus) Um-hum.

9 Q -- in that from folks participating.

10 Will there eventually be a single document  
11 that outlines the role and responsibility of the  
12 Environmental Monitors and how many there will  
13 be and how many times, how often they'll be on a  
14 particular site? Will that be clearly  
15 delineated at some point?

16 A (Tinus) Yes. In terms of how often they have to  
17 visit a site, from a Water Quality perspective  
18 that's dictated by the DES Permit Condition and  
19 also the Construction General Permit. So they  
20 have to get out to a site and monitor within 24  
21 hours of, I believe it's a half inch of rain at  
22 least once per week. We also have to get out  
23 there and plan for any impending large storms.  
24 So you have to look at the precipitation events,

1 the weather events on a daily basis to  
2 understand what's going to happen on a site and  
3 be very aware of what the conditions are.

4 In addition, the monitoring is going to  
5 reflect what kind of activities are going on  
6 where with respect to what resources you have  
7 nearby. So not only will you be looking at  
8 erosion control, but as we've talked about and  
9 other members of the Panel have talked about,  
10 you'll have specialized monitors for wildlife  
11 and rare plants.

12 So the details will be worked out. In the  
13 Best Management Practices, one of the documents  
14 required by DES is to explain how you're going  
15 to do the monitoring during operation,  
16 monitoring operations of the Project. So I  
17 forget the exact title, but those details will  
18 be included probably in an org chart so it all  
19 be spelled out very clearly how this will  
20 proceed, when they need to be there, who will be  
21 their contact names, phone numbers, et cetera.

22 Q And that will be all in the plan submitted to  
23 DES?

24 A Correct.

1 Q And also to this Committee as well?

2 A (Tinus) Correct.

3 Q What kind of assurances do we have as a  
4 Committee and probably more importantly the  
5 Public that the Environmental Monitors are going  
6 to be effective in doing their job here?

7 A (Tinus) Well, I think that individuals that are  
8 credentialed as DES wants them to be, you know,  
9 whether they be a certified wetlands scientist  
10 or a certified professional erosion sediment  
11 control or whatnot, they have to follow certain  
12 ethical standards to perform their job, and  
13 should they be called to question on a decision  
14 they made or whatnot, that could have personal  
15 or individual repercussions.

16 But, clearly, as Lee stated, the meat of  
17 the matter here is the teeth is with DES and any  
18 potential violations that would occur  
19 potentially resulting in fines. We don't  
20 anticipate getting there which is why we want to  
21 have, will have a robust monitoring program that  
22 makes sure that the contractors are employing  
23 all the Best Management Practices and following  
24 the various procedures that they need to to make

1           sure that they stay in compliance.

2           Q    Ms. Carbonneau, I think you mentioned more than  
3           once that it's in the Applicant's best interest  
4           to ensure environmental compliance. Could you  
5           explain that premise to me, why you believe  
6           that?

7           A    (Carbonneau) I think complying with the  
8           regulations before something bad happens is  
9           always easier and more cost effective for the  
10          Applicant. They will have detailed plans on  
11          what they will need to do in each location to  
12          avoid having an unanticipated impact. And as  
13          long as they follow that, work can proceed  
14          smoothly. If they don't follow that, and  
15          something adverse happens, the Monitor has the  
16          ability to shut the Project down for that time  
17          period until it gets fixed. So that results in  
18          cost and schedule implications.

19                But even beyond that, if it has an  
20          egregious effect, then the Agencies can shut the  
21          Project down, and they will probably require  
22          some kind of remedial plan or something that  
23          will have much greater impact on the schedule  
24          and the process of construction.

1           So it's much easier to implement what's  
2           already been identified and agreed to than it is  
3           to stray from that and risk having the Project  
4           get shut down, risk fines, risk actually just  
5           being out of compliance with the rules and  
6           regulations.

7       Q    I think it's probably safe to assume that if the  
8           facility gets a Certificate and construction  
9           begins, I think it's fair to assume that DES,  
10          Fish & Game and other Agencies will be  
11          conducting random, unannounced inspections of  
12          the operations?

13       A    (Carbonneau) I would expect so, if possible.

14       A    (Tinus) I would agree.

15       Q    I assume that there will be a number of eyes  
16          watching this Project if it moves forward, and  
17          I'm assuming that those citizens obviously have  
18          the ability if they spot something in the field  
19          to, one, either report it directly to the  
20          company or to DES for further investigation.

21       A    (Carbonneau) Yes.

22       Q    I want to talk just a little bit about blasting.  
23          Does the DES recommendations cover blasting?

24       A    (Tinus) Not specifically, no.

1 Q Okay. Thank you. Because I searched it and I  
2 couldn't find any reference to blasting in there  
3 at all.

4 The Construction Panel made a commitment  
5 when I asked this, that they would follow  
6 Attachment A which is the DES Model Regulations  
7 for Municipal Ordinances. Is that your  
8 understanding?

9 A (Tinus) That's correct.

10 Q Is that part of the record in this case?

11 A (Tinus) It is. I believe it was provided in a  
12 Data Request or maybe it was Supplemental  
13 Testimony, but it is part of the record.

14 Q Okay. Because generally blasting in New  
15 Hampshire is regulated at the local level so  
16 that serves as the cookbook, so to speak, for  
17 municipal regulations, but those may not be  
18 applicable in this case because of the SEC  
19 proceeding. So I just want to make it clear  
20 what those standards are that will be followed.

21 A (Tinus) In terms of addressing procedures that  
22 they need to have in place to make sure that the  
23 blasters know exactly what they're doing, where  
24 that they have complete characterization of the

1 materials that they'll be working with, they'll  
2 also have to have been understanding from how  
3 much they would need to use in terms of blasting  
4 materials, and it also, I believe, covers water  
5 quality monitoring in the vicinity of the blast.  
6 So that was the intention of saying that they'll  
7 be responsible for all the elements in that  
8 plan.

9 Q And there was a commitment to monitor private or  
10 public wells within 500 feet of the blast zones  
11 as I recall.

12 A (Tinus) That's correct.

13 Q And that was both a premonitoring and also  
14 post-monitoring?

15 A (Tinus) Correct.

16 Q Of blasting activities. And I think I asked the  
17 Construction Panel this, too, but if somebody  
18 was to be 600 feet away, could they request to  
19 be included in that sampling?

20 A (Tinus) That's not unheard of.

21 Q Okay. How long do you monitor post-blasting for  
22 nitrates and things like that? Do you know?

23 A (Tinus) I think there's two or three samples  
24 taken post. If I'm not mistaken, for Groton

1           that's what they did.

2           Q     Some fixed periodic schedule?

3           A     (Tinus) Yes. And so if anything were to appear,  
4           then you would certainly have to take another  
5           sample and look at it, but I believe there's an  
6           element in there that talks about if you have a  
7           certain amount but it's lower or on the low end  
8           of the detectable limit, then you would do one,  
9           and maybe if you had a negative or nondetect,  
10          then you wouldn't need to do anymore.

11          Q     Okay. Shifting gears a little bit again on the  
12          avoidance measures and mitigations. That is  
13          still in draft form at this point. Is that  
14          correct?

15          A     (Carbonneau) The wildlife avoidance and  
16          minimization measures are still being, putting  
17          final touches on those. The plant avoidance and  
18          minimization measures for rare plants are agreed  
19          upon by Natural Heritage Bureau so those won't  
20          change unless what they read now becomes a  
21          conflict with what's proposed for wildlife where  
22          their interests overlap. For example, lupine  
23          and Karner blue butterfly, if it's more  
24          stringent for Karner blue, then we'll change the

1 language in the plant AMMs to make sure there's  
2 no misunderstanding.

3 Q And the current draft is dated June 24th, 2017,  
4 is that right, of the Wildlife Mitigation Plans?

5 A (Tinus) That sounds right.

6 Q That was five or six months ago at this point.  
7 What's the expectation for finalizing those  
8 measures?

9 A (Carbonneau) We're very close. We have another  
10 draft in-house that we're having the contractors  
11 take a look at, and we'll, our plan is to submit  
12 this latest version to New Hampshire Fish & Game  
13 for their review. It's based on a meeting that  
14 we had just a couple of weeks ago where we came  
15 to a good agreement on many issues. So I think  
16 it's very close. I can't give you an exact date  
17 of when it will be available, but, hopefully,  
18 within a month.

19 Q Okay. I'm anxious to see that.

20 When I look through the AMMs, there's a lot  
21 of time windows in there when work is to be  
22 avoided, if possible, or where practical, I  
23 believe. Who lines all of those things up? I  
24 mean, there's things that seem to be very

1 challenging in terms of scheduling a long-term,  
2 two-year construction project, at the same time  
3 avoiding all of those time frames windows  
4 identified in the AMMs.

5 A (Tinus) I can tell you right now that the  
6 contractors, presumably the chosen contractor,  
7 PAR, is right now working on a very detailed  
8 analysis of all, what we call restrictions,  
9 environmental restrictions to construction. So  
10 they're trying to gain a visual understanding of  
11 how that looks on different documents and also  
12 in a schedule form.

13 A (Carbonneau) And I'll add that in many cases the  
14 time-of-year restrictions don't apply to a huge  
15 area. In many cases, they're somewhat limited  
16 in where they would apply. So we think they'll  
17 be able to work around these fairly effectively,  
18 but they're working out the long-term schedule  
19 here to make sure that it's works.

20 Q One of the things I noticed in the draft AMMs,  
21 there's some of the buffer zones, I think, for  
22 some of the bird species weren't quite yet  
23 defined yet. Is that something that will be  
24 defined as part of the final AMM?

1 A (Carbonneau) Yes. There have been some  
2 modifications to the buffer zone for nesting  
3 raptors, for example. Fish & Game suggested  
4 that we reference Good Forestry in the Granite  
5 State as a source for the buffers and so  
6 actually those have now been put into the  
7 avoidance and minimization measures so, yes,  
8 they have changed a little bit.

9 Q I want to switch gears a little bit and kind of  
10 sticking with the AMMs in general, but I want to  
11 talk a little bit about the Karner blue  
12 butterfly, and that is both a state and federal  
13 endangered species; is that correct?

14 A (Barnum) Yes. That's correct.

15 Q What's the difference between endangered and  
16 threatened?

17 A (Carbonneau) There is a technical definition  
18 which I don't know by heart, but the endangered  
19 species have a higher possibility of becoming  
20 extinct than a threatened species does.

21 Q And the Karner blue is endangered?

22 A (Barnum) That's correct.

23 Q So that means that it is illegal to possess,  
24 harm, injure, kill or even harass such a

1 species; is that correct?

2 A (Barnum) Correct. Yes.

3 Q And as far as you know, the Concord location is  
4 the only location in New Hampshire where the  
5 Karner blue exists?

6 A (Barnum) There are multiple locations around  
7 Concord where there are butterflies. It's not  
8 just a single group of them. There's more than  
9 one group, but, yes, the Concord area is the  
10 location.

11 Q And those areas are managed by Fish & Game and  
12 the U.S. Fish & Wildlife Service?

13 A (Barnum) Yes.

14 Q What's the overall goal of the project in  
15 Concord?

16 A (Barnum) The Karner blue project?

17 Q Yes. The Karner blue.

18 A (Barnum) To maintain a self-sustaining  
19 population.

20 Q Are we at that point at this point?

21 A (Barnum) At this point, it is self-sustaining,  
22 but given the nature of butterfly populations  
23 and the small area which they inhabit, they  
24 require ongoing management and monitoring to

1 ensure that remains the case.

2 Q Okay. So we currently don't do any captive  
3 breeding for the Concord area at this point?

4 A (Barnum) I don't believe for the last couple  
5 years there has been any for the Concord area.  
6 They have been sending some butterflies to  
7 Albany, New York, because their population which  
8 is where the Concord butterflies originally came  
9 from.

10 Q I was going to say --

11 A (Barnum) Their population is having some  
12 troubles, and because there is good captive  
13 rearing in Concord, they've been doing some  
14 exchange.

15 Q Okay. I found that interesting that the New  
16 York butterflies came to New Hampshire, and now  
17 we're sending some back to New York.

18 Do you have any way of estimating how is  
19 this going to impact the population in Concord  
20 for the species?

21 A (Barnum) I'm not a butterfly population expert.  
22 My understanding is that there are ten  
23 subpopulations in and around the airport, the  
24 Concord Airport, of which the population that

1 will be impacted by Northern Pass is one. So  
2 it's one of ten. So since there are those,  
3 since the bulk of the population, the  
4 subpopulations, will not be affected by our  
5 Project, my assumption is that the overall  
6 impact to the entire population will be  
7 relatively small. However, the impact to the  
8 population, the subpopulation that is being  
9 impacted, that could be a larger impact to them.

10 Q To the point where we could no longer have a  
11 self-sustaining population in Concord?

12 A (Barnum) No, not for the whole population  
13 throughout the town.

14 Q Okay. And the current plan as part of the  
15 mitigation package is to set aside a 6.9-acre  
16 parcel of land to develop as further habitat for  
17 the butterfly?

18 A (Barnum) Correct.

19 Q And that's been agreed to by Fish & Game and the  
20 U.S. Fish & Wildlife Service?

21 A (Barnum) Yes.

22 Q As appropriate mitigation?

23 A (Barnum) Yes.

24 A (Carbonneau) And that agreement was based on our

1 original estimates of impacts to Karner blue  
2 butterfly. Since that time, we've been able to  
3 actually reduce the area of impact to wild  
4 lupine so there would be a consequence logical  
5 reduction in impacts to Karner blue butterflies  
6 as well. So the mitigation was already  
7 considered adequate, and it's probably going to  
8 be more adequate now.

9 Q I read the first AMM is to do work in the  
10 wintertime. I assume that's because the  
11 butterflies are dormant at that point in time?

12 A (Carbonneau) There's a lot of good reasons to  
13 try to do work in the wintertime. One of them  
14 is the impacts to lupine will also be reduced.  
15 But Karner blues are considered to be in the  
16 right-of-way any time of year. They're probably  
17 a little bit less susceptible to impacts during  
18 the winter though.

19 Q That was my question. I assume there could  
20 still be some impact even if work is done in the  
21 wintertime.

22 A (Carbonneau) Yes.

23 Q Ms. Barnum, you're shaking your head yes as  
24 well?

1 A (Barnum) There's always some life stage of the  
2 Karner blue present, either eggs, pupa or  
3 adults. So in the wintertime it's eggs, but you  
4 can still affect them. However, as Lee stated,  
5 since you're reducing your impacts on the  
6 lupine, when the growing season, next growing  
7 season happens, then there's going to be more  
8 lupine available if you do the work in the  
9 winter.

10 Q If the work is not done in the winter, the plan  
11 is to put down padding of some kind in the  
12 entire work zone to help minimize impacts to the  
13 lupine, I assume?

14 A (Carbonneau) Yes. Timber mats would be used  
15 across the lupine patches.

16 Q Okay. Should there be some sort of time  
17 constraint associated with that? Because I  
18 think it would matter what stage the butterflies  
19 are at that point. If they're obviously in  
20 flight, then they could obviously just fly away  
21 as the timber mats were being laid down, but if  
22 they're in egg stage, I assume they're on the  
23 plants at that point?

24 A (Barnum) I think the bigger impact is the fact

1           that the plants aren't available for them to  
2           use, and that would both be the lupines for the  
3           larvae to eat and then other species of plant  
4           for the adults to nectar on. So it's the loss  
5           of habitat that's really the impact, and that's  
6           the impact that the Agencies were considering.  
7           When they thought about what level of mitigation  
8           was appropriate, they're really thinking hard  
9           about all right, what's happening to the habitat  
10          and how do we compensate for those impacts to  
11          the habitat.

12        Q    Okay. Maybe this was a question for Mr. Magee,  
13           and if it is, I apologize. There could still  
14           be, what happens to the plants if they're  
15           covered by a timber mat for what, two months,  
16           three months, six months? Do the plants die at  
17           that point and then they would be no longer  
18           available to the butterflies?

19        A    (Carbonneau) I don't know exactly how long a  
20           plant will survive under a timber mat during the  
21           growing season. I think certainly in the period  
22           where the plant is dormant because these are  
23           perennials, the root system remains alive in the  
24           soil, the aboveground part of the plant dies

1 back in the fall. So any time probably from  
2 October through March, the impacts of leaving a  
3 mat down for several months is not going to  
4 affect them. It's probably not going to have a  
5 significant effect. During the growing season,  
6 it's more of an effect on the plants.

7 Q Okay. I'll shift gears to bats a little bit.  
8 Ms. Barnum, do you know what type of bat flies  
9 over my house every night, just out of  
10 curiosity?

11 A (Barnum) Well, based on what's happened with  
12 white nose syndrome, the species that are most  
13 common in the state now are the big brown bat,  
14 and then the tree roosting species which have  
15 never been that common but things like red bat,  
16 hoary bat and silver-haired bat.

17 Q Thank you. But a serious question on the bats,  
18 the small-footed bat, that's a threatened  
19 species in New Hampshire?

20 A (Barnum) It is State-endangered.

21 Q Okay. And as part of the AMMs, there will be no  
22 blasting of rocky outcrops between June 1 and  
23 July 30th if the Environmental Monitor verifies  
24 the presence of the small-footed bat, is that

1 correct?

2 A (Barnum) That's one of the most important things  
3 we're working on right now with the AMMs,  
4 exactly what that time period should be, and it  
5 may change.

6 Q Okay. How do you verify the presence of the  
7 small-footed bat? Is it a visual inspection of  
8 a rocky outcrop? Is it nighttime acoustics?  
9 How do you verify that?

10 A (Barnum) There are a number of options for  
11 verifying bat presence. Acoustic work, putting  
12 out acoustic monitors overnight, you could net  
13 and have them in hand and verify that way. You  
14 can also do what we call exit surveys where you  
15 simply sit at dusk and observe what's coming  
16 out. Now, you can see bats, you can't identify  
17 to species. So either at that point you make an  
18 assumption that because the habitat was suitable  
19 for small-footeds, that's what came out, or you  
20 say well, I saw bats, and now I'm going to take  
21 one of these other two measures to verify  
22 exactly what species.

23 Q So they roost in rocky outcrops and have their  
24 young during that time of year?

1 A They do.

2 Q That's not where they winter though, right?

3 A The small-footed bats may overwinter also in  
4 those rocky outcrops. If there are crevasses  
5 that are deep enough to go below frost line,  
6 these small-footed bats are very cold tolerant,  
7 more so than some other species. They're also  
8 very rarely observed in other kinds of  
9 hibernacula, deeper caves, and so a lot of bat  
10 specialists believe at this point that there are  
11 overwintering in the same places where they  
12 spend the summer if you've got those below frost  
13 line crevasses where they can retreat to.

14 Q You mentioned the overwintering. Do bats  
15 typically hibernate in the same place year after  
16 year?

17 A (Barnum) Yes.

18 Q So if you were to identify a rocky outcrop that  
19 needed to be removed as part of this Project,  
20 that particular hibernation spot would no longer  
21 obviously be available.

22 A (Barnum) Potentially, yes.

23 Q And how good are bats at finding another place  
24 to spend the winter?

1 A (Barnum) I don't know how much research has been  
2 done on shifting overwintering hibernacula;  
3 however, bats are extremely adept at finding new  
4 spots during the summer. It appears that sort  
5 of that prospecting behavior is part of their,  
6 part of how they function. So the assumption is  
7 they would find a new place to overwinter, but  
8 like I said, I don't know if there's any  
9 research specific to that wintering versus the  
10 summering behavior though.

11 Q Has any locations been identified on the route  
12 that will need to be removed that currently  
13 serve as a hibernation spot for the bats?

14 A (Barnum) We haven't identified any hibernacula  
15 on the route.

16 Q Okay. I'm going to shift gears again. Go back  
17 to -- before I leave the AMMs. The lynx  
18 population in New Hampshire. I think you said  
19 it was extremely, they're extremely rare in New  
20 Hampshire?

21 A (Barnum) That's correct.

22 Q Is it because we are at the southern edge of  
23 their range or is it the fact that they get  
24 outcompeted by bobcats?

1 A (Barnum) We are at the southern edge of the  
2 range. There's a variety of reasons why we're  
3 the southern edge of the range. One of them is  
4 we have bobcats. Others are just the snow  
5 conditions in winter favor bobcat in some cases  
6 as opposed to lynx. We move them to northern  
7 Maine, and then the snow conditions are a little  
8 more severe and the lynx gains the advantage.

9 Q The fluidized thermal backfill. I asked this  
10 question of the Construction Panel, and I asked  
11 specifically, had there been any discussions  
12 with DES about the use of this material in the  
13 construction zone, and the clear answer was no,  
14 there had been no discussions with DES from the  
15 Construction Panel.

16 I'm going to ask you guys as the  
17 Environmental Panel, are you aware of any  
18 discussions with DES about using the fluidized  
19 thermal backfill?

20 A (Tinus) No, and it's a product that DES has  
21 previously certified for reuse. It's used  
22 widely across the United States in various  
23 construction activities for backfill.

24 On this Project, the Project is working

1 with DOT to take a look at use of this product.  
2 So we're going to continue to work with them on  
3 that issue in terms of, for a specific  
4 Application to this.

5 Q The certified waste derived product approval  
6 that DES did in 1997 was specific to fly ash  
7 that came from Merrimack Station and Schiller  
8 Station. Is that your understanding?

9 A (Tinus) That's correct.

10 Q So is the use of this going to be under that  
11 certified waste derived product determination  
12 that DES did or is it now currently covered  
13 under a separate section of the DES rules?

14 A (Tinus) In terms of the product being fluidized  
15 thermal backfill, it is covered under the rules  
16 specifically. The solid waste rules.

17 Q So it's beyond just the certified waste derived  
18 determination that was done?

19 A (Tinus) Correct.

20 Q So under the current state rules, it could be  
21 applied to fly ash from any facility, not just  
22 Merrimack and Schiller Station; is that your  
23 understanding?

24 A (Tinus) That's correct.

1 Q Okay.

2 A (Tinus) The EPA also has indicated acceptance of  
3 it as a nonhazardous material, and they've  
4 encouraged use of it. The different areas,  
5 different DOTs around the country use it. In  
6 fact, in most states it's used, as I said,  
7 widely in various construction projects.

8 Q Is there a nationally recognized standard for  
9 fluidized thermal backfill?

10 A (Tinus) I think the constituents that are  
11 contained within it are -- they have to meet  
12 certain standards at the source. So that's  
13 what's followed in terms of making the different  
14 preparations for different applications.

15 Q Okay. I just have a couple kind of random  
16 questions so I'll just throw them out there and  
17 anybody can answer them.

18 As part of your mitigation package, there  
19 was an agreement on the now right-of-way up  
20 north to limit access to motorized vehicles; is  
21 that correct?

22 A (Carbonneau) That's correct.

23 Q How was that done?

24 A (Carbonneau) The Project has agreed to, if

1 necessary, install gates at locations where  
2 unauthorized ATV use may take place. That could  
3 be from public roadways or it could be anywhere  
4 where an existing snowmobile or ATV trail, and  
5 there are some up there now, intersects the new  
6 right-of-way or signage and gates, whichever  
7 seems necessary at the time.

8 Q If I know anything about ATV riders, and I don't  
9 mean to disparage a whole group, but they're  
10 pretty creative in their ability to access  
11 right-of-ways, I think. Will there be any  
12 monitoring being done by the company as part of  
13 ensuring that there will be no access up there?

14 A (Carbonneau) I would say that a fair amount of  
15 the property that will have the new right-of-way  
16 in the northern section will include properties  
17 that are part of the mitigation package.  
18 Typically, those properties are monitored  
19 annually by the easement holder for the  
20 properties, and so any issues or problems would  
21 be identified during that monitoring process.

22 I don't know what would be planned for the  
23 properties that are not part of the mitigation  
24 package. There are a few.

1 Q Okay. I want to talk just a little bit about  
2 removal of timber mats and wetlands. Ms.  
3 Carbonneau, I assume that would fall to you, but  
4 I know the DES Application says that within 7  
5 days of completing construction, the timber mats  
6 need to be removed. Is that your understanding?

7 A (Carbonneau) Yes. I think that's correct. Does  
8 that sound familiar?

9 A (Tinus) Yes.

10 Q And you talked a little bit about this could be  
11 a two-year construction cycle, these mats could  
12 be in place, and I'm just really trying to  
13 understand from an environmental standpoint what  
14 makes more sense. To leave a mat in place for  
15 two years or to remove it and then put it back  
16 on some sort of basis whenever you're accessing  
17 the right-of-way or the wetland? Ms.  
18 Carbonneau, what makes more sense to you?

19 A (Carbonneau) It makes more sense to me to place  
20 them for a particular task, and then if you're  
21 not going to return to that location for months,  
22 they should be removed. From an environmental  
23 standpoint, that's less of an impact.

24 Typically, when these are placed, they

1 press the vegetation down. When they're  
2 removed, the vegetation can spring back to some  
3 extent. The longer they're down, the harder  
4 that is and the more likelihood there would be  
5 mortality of the plants that are under the mat.  
6 Particularly, if it's during the growing season.

7 From a construction standpoint, I mean,  
8 this Project is going to have activities  
9 happening in different places. To purchase or  
10 lease enough timber mats to cover the whole  
11 Project site from one end to the other and leave  
12 them there is going to be substantial. So I  
13 think the contractors would probably agree that  
14 moving them around to actually where they need  
15 them is going to be a more acceptable process  
16 from their standpoint as well.

17 Q But under the DES approval, you could, in fact,  
18 leave them there for the entire two-year cycle  
19 of construction if you so chose to?

20 A (Carbonneau) I think from the DES standpoint,  
21 that's true. The Army Corps has a limitation on  
22 the length of time that timber mats can be in  
23 place. Jake, I think it's what, 12 months or 18  
24 months? I forget.

1 A (Tinus) I can't recall. It is less.

2 Q That would be part of the 404 permit we talked  
3 about earlier?

4 A (Carbonneau) That's likely, yes.

5 A (Tinus) That's correct.

6 Q And that will be issued at some point.

7 A (Carbonneau) Right.

8 Q After this proceeding is, I think, what you  
9 said?

10 A (Carbonneau) I believe they're waiting for the  
11 SEC process to be completed before they issue  
12 their permit.

13 Q I think just one more question. Two more.  
14 Sorry.

15 Tree removal within the right-of-way.  
16 Obviously, you don't own beyond the right-of-way  
17 so all trees would be dropped into the  
18 right-of-way. Is that a fair assessment?

19 A (Tinus) I think that's the intention. Yes.

20 Q Literally what happens to a tree that's 50/50 on  
21 the property line? I mean, obviously, you can't  
22 remove half a tree. I assume that entire tree  
23 would come out?

24 A (Carbonneau) If it's required for the clearance.

1           If the bowl of the tree is not the issue but the  
2           branches, then they can also do side trimming,  
3           and that's fairly common.

4       Q    Is all the removed material from the trees taken  
5           out of the right-of-way?

6       A    (Carbonneau) Typically, it's removed if it's  
7           going to hinder vegetation management. So they  
8           try not to leave large logs in the middle of the  
9           right-of-way even though I have worked on  
10          right-of-way projects where Fish & Game actually  
11          said can't you leave some more woody debris in  
12          the right-of-way, it's a great cover for small  
13          animals. If it hinders ongoing maintenance,  
14          they tend not to do that so most material is  
15          removed.

16       Q    I know every time I build a pile of branches in  
17           my yard, somebody inhabits it pretty quickly.  
18           So I can understand Fish & Game's desire there.

19                    Is there any, there's no open burning of  
20           the tree materials or anything along that line  
21           within the right-of-way?

22       A    (Tinus) No.

23       A    (Carbonneau) No.

24       Q    I didn't suspect, but I felt as the air guy I

1 needed to ask.

2 Okay. Last question. Refueling of  
3 equipment within wetlands. I haven't heard  
4 anybody brought that up. I'm assuming that  
5 there are BMP as to how you refuel construction  
6 equipment within the wetlands?

7 A (Tinus) Yeah. That's really discouraged.

8 Q I assume the preference is to remove the  
9 equipment from the wetlands and refuel it  
10 uplands of the wetlands, is that accurate?

11 A (Tinus) Correct, and if it does need to happen,  
12 then there would have to be some secondary  
13 containment of some sort. Some device to  
14 potentially capture fluid that could release  
15 from the container or out of the vehicle or  
16 whatnot. But we don't anticipate that's going  
17 to be the case; that they're going to be able to  
18 refuel in the appropriate locations and not have  
19 to get to a point where you need to do it in a  
20 wetland.

21 Q Okay. I think I'm all set for the moment,  
22 Mr. Chair.

23 PRESIDING OFFICER HONIGBERG:

24 Mr. Oldenburg?

1 MR. OLDENBURG: Thank you, Mr. Chair.

2 BY MR. OLDENBURG:

3 Q I have a series of questions. I think  
4 Mr. Wright has asked quite a few of them so if I  
5 hesitate and pause it's because I have to skip  
6 forward and rethink my questions.

7 Ms. Barnum, I think he just asked all the  
8 questions I had, especially about the Canada  
9 lynx. It's called a Canada lynx for a reason.  
10 This is not its typical habitat and range.

11 A (Barnum) Correct.

12 Q But of the animals that you studied and looked  
13 at for the Project, does any of them give you  
14 pause to concern of the impacts the Project will  
15 have to either their habitat or their ability to  
16 survive or anything like that? If there's one  
17 or two that strike you as --

18 A (Barnum) The only species that I had any  
19 particular concern about was the Karner blue  
20 butterfly because it is so limited in its  
21 distribution population. However, I feel that  
22 the mitigation that we're offering more than  
23 compensates for the impacts and will in the end  
24 create a net benefit to that species. That's

1           what Fish & Wildlife requires under the Federal  
2           Endangered Species Act, a net benefit, and I  
3           really believe that the mitigation really does  
4           achieve that for them.

5       Q     So correct me if I'm wrong, but the wild lupine  
6           was planted or grows in the power line  
7           right-of-way, correct, for the most part?

8       A     (Barnum) That's correct.

9       Q     So without the power line right-of-way, you  
10          wouldn't have wild lupine or Karner blue  
11          butterflies?

12      A     (Barnum) Yes. The habitat conditions that  
13          lupine requires are maintained within the  
14          right-of-way because of the maintenance of the  
15          right-of-way. It's a species that requires a  
16          low amount of cover, overhead cover but some  
17          cover but not too much, and so it needs that  
18          just right. And disturbance, continued  
19          disturbance is what maintains that. It used to  
20          be that the Pine Barrens burned, and that's how  
21          you got that ideal mix of cover and openness  
22          that the lupine really like. Most of the Pine  
23          Barrens in Concord have been developed, and the  
24          remaining areas don't burn naturally anymore.

1 People don't like it when stuff burns near their  
2 house so we put the fires out. So some other  
3 disturbance was required to maintain those  
4 conditions. As it turns out, right-of-way  
5 maintenance does a pretty good job of it.

6 Q All right. Thank you. The rest of my questions  
7 are mostly about wetlands. I'll toss that up to  
8 anybody who wants to answer.

9 You testified that Normandeau is currently  
10 working for Eversource, not any of the  
11 contractors that are currently working on the  
12 Project.

13 A (Carbonneau) That's right.

14 Q And you're aware that the contract was bid soon  
15 after the Application to the SEC was put in and  
16 that Quanta Construction was chosen?

17 A (Carbonneau) Yes.

18 Q To actually build the Project if it's approved.

19 A (Carbonneau) Yes.

20 Q And I think you stated that you don't know of  
21 Quanta or their myriad of subsidiaries, PAR and  
22 all those folks, they haven't hired their  
23 environmental consultant yet or do they  
24 typically use in-house staff to do like the

1 Environmental Project Managers and the  
2 monitoring?

3 A (Carbonneau) I couldn't say what they typically  
4 do. I don't believe I've worked on a Project  
5 with Quanta or Par before during construction.  
6 I have worked with some companies that work with  
7 them, and typically, I would imagine they may  
8 have some Environmental Monitors in-house for  
9 specific things like erosion and sedimentation  
10 control, but I don't know that for a fact.

11 Q But you haven't met them or you don't know who  
12 they are yet?

13 A (Carbonneau) I've met several people from PAR,  
14 their schedulers, and also we worked with them,  
15 not for them, to monitor some of the  
16 geotechnical boring work. So we actually did  
17 receive their health and safety training just  
18 for that very limited purpose, but we don't have  
19 a contract with them.

20 Q Okay. During the Construction Panel testimony,  
21 and I use Construction Panel loosely because  
22 that's what it was called, but Mr. Scott  
23 testified that he actually did the design of the  
24 underground for the preliminary design that was

1 used in the Application, and he's currently  
2 overseeing the review of the design that's being  
3 done by PAR Electric who's the contractor.

4 So my understanding is that Burns &  
5 McDonnell did the bridge engineering for the  
6 Application. Now the contractor is doing the  
7 final design and the construction. PAR Electric  
8 is doing like the underground section of the  
9 final design. So Mr. Scott while he was up in a  
10 Construction Panel was actually the original  
11 designer for the permit and is actually in  
12 charge of reviewing the underground design for  
13 the final design overseeing what PAR Electric  
14 does. Do you understand that? Part of it or  
15 take my assumption as being correct?

16 A (Carbonneau) I'll take your word for it.  
17 Correct.

18 Q On the other side, Mr. Bradstreet has testified  
19 that he actually did the overhead design, the  
20 overhead transmission design, and he is actually  
21 going to continue doing the overhead  
22 transmission design through final design. That  
23 was my understanding. So actually it was a  
24 Construction Panel half Design Panel, too, so I

1 call it a Design and Construction Panel because  
2 a lot of the information that Mr. Scott and Mr.  
3 Bradstreet testified about was the design  
4 itself.

5 So what they testified to was that there's  
6 actually four separate construction components.  
7 And as part of that, there was an attachment to  
8 Mr. Fortier's testimony, his Attachment B, it  
9 was the org chart, if you will, the  
10 organizational structure of how the contract  
11 would work; that there was Eversource on top,  
12 and there were four separate construction  
13 operations, the overhead transmission, the  
14 underground transmission, the substation  
15 construction, and then sort of a specialty HVDC  
16 converter, SVC and cable construction; four  
17 separate construction components, if you will.  
18 Each one of those construction components --  
19 this is long setup for a question. I apologize.

20 All of these four separate construction  
21 components had an Environmental Project Manager,  
22 and under that Environmental Project Manager  
23 were the Field Monitors or Inspectors. Does  
24 that make sense?

1 A (Carbonneau) That makes sense.

2 Q Okay. Now, on the other side is Burns &  
3 McDonnell as the owner's engineer. Burns &  
4 McDonnell plus maybe some other consultants.  
5 But they also have an Environmental Project  
6 Manager that's assigned to oversee -- their  
7 Project manager also has monitors in the field  
8 that oversees what the contractor is doing.  
9 Does that make sense to what you've heard?

10 A (Tinus) That's correct.

11 Q Okay. But do you know, I think you just  
12 testified, that from the contractor's standpoint  
13 you don't know who those Environmental Project  
14 Managers are yet?

15 A (Carbonneau) No.

16 A (Tinus) No.

17 Q So you don't know whether they understand, agree  
18 with, all the details, the AMMs and everything  
19 else you've come up with for requirements that  
20 are going to be put on them and the contractor?

21 A (Carbonneau) Well, I'm not sure who those folks  
22 will be, but they will certainly need to come up  
23 to speed if they don't already know about those  
24 things, but we have been discussing these with

1 both the design team and the contractors to make  
2 sure that they understand what is being  
3 developed now so I'm not sure who those, who  
4 their individual Monitors or monitoring  
5 supervisors will be, but they have been  
6 incorporated as best we can now with the people  
7 that are involved so far in the process of  
8 developing these AMMs.

9 Q Because that was one of the, if you say one of  
10 the advantages to doing this type of contract  
11 which we call a design/build is that the  
12 contractor actually finishes the design and then  
13 builds it so they have input into what the  
14 requirements of the design are so they can say  
15 no, you don't want to do that. But it sounds  
16 like that you haven't really been involved in  
17 that one-on-one back and forth with the  
18 contractor to say whether the AMMs and other  
19 restrictions that are being put on the contract  
20 from an environmental standpoint they agree with  
21 or can do or there's a better way.

22 A (Carbonneau) Well, they have been involved. We  
23 actually have had several meetings with them --

24 Q Okay.

1 A (Carbonneau) -- involved so we call them the AMM  
2 meetings, and they involve sitting around and  
3 showing plans on the screen and going over what  
4 the expectations are and what's being proposed  
5 for an avoidance and minimization measure and  
6 then discussing what the ramifications to the  
7 schedule and the constructability of the Project  
8 are.

9 We also provide every time we make a small  
10 update or a change to the AMMs as they're being  
11 developed, we submit those to Jerry Fortier, and  
12 he shares those with the contractors, and they  
13 give us comments back. So we are incorporating  
14 their concerns. Most of them relate to will the  
15 restrictions extend the time frame for this  
16 construction project beyond something that's  
17 reasonable or is it something that we can work  
18 around. How much of an area does it affect.  
19 What are the potential risks to the schedule.  
20 Those are the kind of things that they are  
21 giving us input on.

22 So while we don't know exactly who the  
23 people will be that are responsible for making  
24 sure on their side that these are implemented,

1 we have definitely been engaging them in the  
2 process so they're aware of where the  
3 discussions stand and what some of these  
4 restrictions are likely to be.

5 Q And I'm assuming that applies to the Burns &  
6 McDonnell's folks on the outside?

7 A (Carbonneau) Yes, they're heavily involved as  
8 well, yes.

9 Q Ms. Carbonneau, in your Prefiled Testimony, and  
10 just for the record it's on page 3 of 15, starts  
11 on line 19, I'll just read it because it's  
12 pretty short.

13 "The decisions to place an additional  
14 approximately 52 miles of the Project  
15 underground in roadways and shoulders from  
16 Bethlehem to Bridgewater reduced direct  
17 permanent wetland impacts by approximately .6  
18 acres, reduced temporary impacts by over 30  
19 acres, and reduced secondary impacts to  
20 wetlands, streams and vernal pools by over 70  
21 acres."

22 Since that was your original testimony back  
23 in October of '15, when you talk about reduced,  
24 I mean that's the original, that's the only plan

1 that we see. So reduced from what?

2 A (Carbonneau) Reduced from an earlier design that  
3 actually used the overhead existing transmission  
4 line through the White Mountain National Forest.  
5 So originally, the plan was to have the line go  
6 through the White Mountain National Forest, and  
7 we had already calculated impacts associated  
8 with that route. So by placing the route  
9 underground which is the route that you saw in  
10 your Application materials, that impact was  
11 eliminated.

12 Q That makes sense. Thank you.

13 I won't read through the litany of  
14 Applications. I think Mr. Wright went through  
15 them, but from what I found in the Applications,  
16 so the AOT Application was submitted and dated  
17 in October of '15, Wetlands Impact Plans are  
18 dated October of '15, there appear to be a  
19 Revised Wetlands Plans in February of '16, and  
20 DES's Final Decision Letter, I'll call it that,  
21 of March 1st, 2017, number one -- so I'm trying  
22 to get, my goal is trying to figure out what  
23 plans were used.

24 A (Carbonneau) Okay.

1 Q In their Decision Letter in number one it says,  
2 "All work shall be in accordance with Revised  
3 Wetland Impact Plans by Normandeau dated May  
4 2016 as received by DES on May 10th, 2016, and  
5 the Revised Plan Sheets submitted by the  
6 Permittee December 14, 2016, and January 25,  
7 2017. So the May '16 plans are the original  
8 permit plans. And then if I got through the  
9 information right, the December 2016 plans, if I  
10 remember right, they dealt with the Shoreland  
11 Permit Update Plans and some Transition Station  
12 Impact Plans that were updated.

13 A (Carbonneau) I think that's true. Yes.

14 Q And then the January 2017 plans that were some  
15 very specific wetland plans that were changed.

16 A (Carbonneau) Yes.

17 Q But it encompassed, if I remember right, maybe  
18 12 sheets or something like that or maybe more.

19 A (Carbonneau) I think that's about right all  
20 together.

21 Q So you used, the plans that were used for the  
22 underground section were the October 2015 plans  
23 that were in the permit; is that correct?

24 A (Carbonneau) Yes. I believe that's correct.

1 A (Tinus) Right.

2 A (Carbonneau) I'm not sure if modifications were  
3 made to those.

4 Q So were the wetland impacts given to you by the  
5 designers or did you calculate the wetland  
6 impacts?

7 A (Carbonneau) Well, we delineated the location of  
8 the wetlands, provided that to the design  
9 engineers, and they overlaid the proposed work  
10 on those, and they actually measured it with  
11 their GIS system. So the impact areas were  
12 calculated by the engineers.

13 Q So for the underground section, and let me talk  
14 just about the underground section for a while,  
15 I mean the way wetland impacts are typically  
16 determined is the Project is designed, you have  
17 a length, you have a width of the cut or the  
18 fill lines, and you use the depth, the depth of  
19 the facilities is used to determine what that  
20 cut or fill line is for the outside limits. So  
21 you have a length and a width.

22 Then you overlay the wetland delineation  
23 over that and then you just digitize or  
24 calculate what the area of impact is. That

1 sound reasonable?

2 A (Carbonneau) That's reasonable.

3 Q But the October 2015 plans, the design plans,  
4 didn't have any depth information, and if you  
5 looked at the plans it was a centerline down the  
6 road, each splice vault was just a box. There  
7 were no slope lines. So it appears to me that  
8 you didn't have enough information or at least  
9 those plans didn't show enough information to  
10 actually calculate where the slope lines were  
11 and what the impacts would be.

12 A (Carbonneau) For the underground route, my  
13 understanding is that the design at that time  
14 called for having it either in the disturbed  
15 road bed or under the pavement.

16 Q Correct.

17 A (Carbonneau) And to the extent that there were  
18 wetlands in that area, which apparently there  
19 were not based on where they expected the line  
20 to be, they would calculate the impacts. And we  
21 were, I think the wetland impacts were fairly  
22 minor in that underground route because the  
23 expectation is that there would, I think they  
24 knew what a trench width would be, but they

1 believed that it was all going to be in the  
2 disturbed roadbed at the time. So that was the  
3 basis for the impact calculation for the  
4 underground route.

5 Q So did you update the impact plans or look at  
6 the impacts based upon the November/December  
7 2016 designs that were done by PAR Electric?  
8 Were they moved, the underground?

9 A (Carbonneau) Yes. We were given those plan sets  
10 to look at. In locations where the DOT had  
11 questioned whether or not they could move  
12 outside of the roadbed, we were charged with  
13 looking at those locations and trying to  
14 determine if there were wetlands or streams or  
15 other natural resources that would be affected  
16 if they moved the line outside into those  
17 locations. So we reviewed the plans, we looked  
18 at the tables of, I think they call them  
19 exceptions, to figure out if there would be  
20 impacts. And while we didn't quantify them, we  
21 did point out to the design team and to PAR  
22 where there were potential natural resource  
23 impacts associated with those plans.

24 Q Okay. Dawn, if you could bring up, it's

1 Applicant's Bates number 12267, and this is,  
2 it's Appendix 31, it's entitled Wetlands,  
3 Rivers, Streams, Vernal Pools Resource Report  
4 and Impact Analysis. It's Figure 56 which is  
5 shown on page 4-23 for the record.

6 And it basically, if I understand this  
7 right, is a summary of the permanent and  
8 temporary impacts for the underground section  
9 that was included as -- I'm assuming this is  
10 where there's no impacts to the, no permanent  
11 impacts and where the temporary impacts were  
12 tabulated, correct?

13 A (Carbonneau) Yes.

14 Q Could you help me read this? So if you just  
15 take Bethlehem, the wetlands that are shown on  
16 the first line. It says that there's 20  
17 wetlands.

18 A (Carbonneau) Yes.

19 Q And the area of those 20 wetlands totals .6  
20 acres?

21 A (Carbonneau) Yes, within the area that we  
22 delineated.

23 Q But there's no permanent impacts and no  
24 temporary impacts.

1 A (Carbonneau) Right.

2 Q And then you did the same thing for the next  
3 line is rivers and streams. Then vernal pools.  
4 So those numbers represent the total number  
5 within that town and then the area that you  
6 found within the right-of-way basically?

7 A (Carbonneau) Yes, of the existing resource.

8 Q So one of the key things is that the wetlands  
9 that are delineated or the vernal pools or the  
10 rivers and streams, you only had the ability to  
11 delineate those within the right-of-way unless a  
12 property owner gave you permission, correct?

13 A (Carbonneau) Yes. Our efforts were directed at  
14 the right-of-way. Yes.

15 Q And it appeared to me by what was shown in the  
16 delineations that it was mainly within the  
17 right-of-way. Didn't go outside the  
18 right-of-way in a lot of locations?

19 A (Carbonneau) We tried not to go outside of the  
20 right-of-way.

21 Q So when you total this all up, Table 56 and it  
22 continues on to the next page for each town, you  
23 have zero square feet of permanent impacts and  
24 about 3400 square feet of temporary impacts,

1 correct?

2 A (Carbonneau) Yes.

3 Q And of those temporary impacts, they're all  
4 shown in river and streams. Why is that?

5 A (Carbonneau) I think that's just associated with  
6 crossings of streams through culverts in the  
7 road right-of-way.

8 Q So there's no permanent, no temporary impacts of  
9 wetlands at all.

10 A (Carbonneau) Right.

11 Q So as part of the construction testimony, Mr.  
12 Johnson of Burns & McDonnell stated that the  
13 plans were being revised again, and, basically,  
14 when I reviewed the October 2015 plans, the  
15 plans that were submitted, they were down  
16 basically the center of the road. The conduit  
17 and the splice boxes were in the center of the  
18 road. It makes sense that there were no  
19 wetlands impacts because it's under the road.

20 The PAR Electric plans in November/December  
21 of 2016, I think that's right, showed them off  
22 to the side. Most of them under the shoulder of  
23 the road or the edge of the road. So then Mr.  
24 Johnson stated, and this is just for the record,

1 it was on Day 7, Morning Session, May 2nd, page  
2 120, starts at line 7. He was in a discussion  
3 back and forth with the Counsel for the Public,  
4 and Mr. Johnson stated, "So there are 159 splice  
5 vaults in the underground section. In the next  
6 version of plans, if you will, 23 of those are  
7 proposed to be in the road." Then the question  
8 was from Mr. Pappas, "And when you say the next  
9 version of the plans, when do you anticipate  
10 those?" Mr. Johnson's answer was we're working  
11 on those exceptions. Once those are complete,  
12 we'll generate the next version of the drawings.

13 So you haven't seen those updated plans yet  
14 or have you?

15 A (Carbonneau) I have not.

16 Q Okay. So it makes sense that the original plans  
17 that shows zero impact had all 159 splice vaults  
18 and the conduit leading to them under the  
19 pavement. Now over 100 of the splice vaults are  
20 going to be outside the pavement. Doesn't that  
21 make sense that that could have an impact to the  
22 wetlands that are on the side of the road?

23 A (Carbonneau) That's possible.

24 Q Have you been involved in any of the discussions

1 with Burns & McDonnell or any of the designers  
2 about those wetland impacts based upon the new  
3 design?

4 A (Carbonneau) Not beyond reviewing the plan sets  
5 that we saw in the fall.

6 A (Tinus) Could I add something here? I'd like to  
7 add something.

8 I did have a brief conversation a few weeks  
9 back with the design team, and they indicated to  
10 me that they're approximately 50 percent done  
11 and in only one location did they have potential  
12 temporary impact. They were able to design  
13 these splice vaults and other elements of the  
14 underground in such a way that there's very  
15 little impact even with moving it off to the  
16 side of the road. So that's sort of the current  
17 state as of a couple of weeks ago. But I think  
18 it's positive in that they're anticipating that  
19 there aren't going to be many additional impacts  
20 to resources along the way.

21 Q Okay.

22 A (Tinus) So I just wanted to put that out there  
23 because it just came to mind.

24 Q Which leads me up to my next question which is

1 Dawn, if you could bring up the Bates number  
2 Applicant's 1181. I tried printing this out and  
3 the colors just don't work. So if you could  
4 zoom in a little bit to it.

5 Basically all this shows is this is a  
6 section through Franconia on Route 116, and the  
7 teal colors along the edge of the right-of-way  
8 are the delineated wetlands, correct? And it  
9 shows in, especially just to the right of the  
10 116 area where there's wetlands on both sides of  
11 the road. And is that correct? Am I reading  
12 that plan right?

13 A (Carbonneau) Yes. Those look like the wetlands.

14 Q And again, because you only delineated in the  
15 right-of-way, they look small, but you have no  
16 idea how big these really are outside of the  
17 right-of-way. The wetlands.

18 A (Carbonneau) Right. Typically what we do is,  
19 well, we have some idea just because we had to  
20 meet the SEC requirements submit a set of plans  
21 that showed what we think was happening outside  
22 of where we actually delineated. That included  
23 an aerial photo interpretation and soil review  
24 of areas within 100 feet of the edge of our

1 delineation and then sort of a GIS exercise to  
2 go even beyond that.

3 So we have a couple of ways of knowing  
4 whether there are wetlands outside of where we  
5 delineated. One of them is in our field  
6 delineations we would note whether it was an  
7 open or a closed wetland, and if it says open,  
8 it means it keeps going. And then we have this  
9 additional mapping that was done, not on foot,  
10 but from existing information.

11 Q Okay. So this exhibit comes from the Project  
12 maps which to me weren't very specific about --  
13 you can only zoom in so close to get an idea.  
14 But Dawn, if you could bring up, it's the Bates  
15 number is APP 26499, and this is actually a plan  
16 from the DES Wetlands and Army Corps Permit  
17 which shows in more detail how some of these  
18 wetlands are fairly close to the road, it  
19 appears to me. Within the right-of-way but  
20 close to the road.

21 So if the splice boxes and conduit  
22 trenching weren't underneath the pavement, they  
23 could potentially go through these areas,  
24 correct?

1 A (Carbonneau) Yes.

2 Q And let's making an assumption for a second  
3 because I know that the width is in question.  
4 How much can you fit in for the splice box and  
5 everything else and get beyond the pavement and  
6 the wetlands.

7 So just for assumption, all the work they  
8 said was going to be done within the  
9 right-of-way, no work's outside the  
10 right-of-way. The typical right-of-way width  
11 through a lot of this area is 66 feet. If  
12 there's no shoulder on the road, and we assume  
13 the pavement is 24 feet, right? 12-foot lane,  
14 12-foot lane, no shoulder. If there's a  
15 shoulder it hurts, it's not a positive for you  
16 so I did -- I was conservative. 24 feet of  
17 pavement. So if you take half of that. So from  
18 the centerline of the road, 33 feet to one side,  
19 left or right, to the edge of the right-of-way.  
20 Of that, 12 feet is going to be pavement. So if  
21 you're outside the pavement that leaves 21 feet  
22 of slope, soil, area to build, and the  
23 Construction Panel testified that the trench  
24 box, the width, work area needed to put in a

1 splice vault was 12 feet. That leaves 9 feet  
2 really if you lined that trench box up with the  
3 edge of pavement, it only leaves you nine feet  
4 to the right-of-way.

5 A lot of those wetlands that appear in  
6 these plans appear a lot closer to the road than  
7 nine feet. So I'm guessing that there's going  
8 to be a lot more temporary impacts or maybe  
9 permanent impacts if the underground is off the  
10 road.

11 A (Carbonneau) It's possible. To the extent that  
12 they can select a side of the road with fewer  
13 wetlands or farther out wetlands, I think that's  
14 part of their goal here, but it's possible that  
15 there will be additional temporary impacts.

16 Q Okay. So and I think Mr. Wright talked about  
17 some of the DES conditions. Is there a rule DES  
18 has about increasing the impacts, temporary or  
19 permanent, on a Project more than 20 percent?

20 A (Carbonneau) Yes.

21 Q What does that rule consist of?

22 A (Carbonneau) It basically says that you can file  
23 for a Permit Amendment up to 20 percent of the  
24 original impacts without having to go back and

1 start over and submit a whole new Wetlands  
2 Application.

3 Q Okay. So in the underground section, you have  
4 50 miles and what the Application says is you  
5 have zero square feet of permanent impacts and  
6 3,400 square feet of temporary impacts. With  
7 this new design, there's a huge potential that  
8 in the underground section you'd be over that if  
9 the design shows it outside the edge of  
10 pavement.

11 A (Carbonneau) Well, they take the impacts of the  
12 Project as a whole. So there's 138 acres of  
13 temporary impacts. I think the idea is you can  
14 apply for up to 20 percent of that.

15 Q Right. It looks at all as a whole.

16 A (Carbonneau) The Project as a whole because it's  
17 one single permit. Yes.

18 Q I'll get to the overhead in a minute.

19 But before I leave the underground, one of  
20 the things that was talked about is the trench  
21 for the conduit, and the fluidized thermal  
22 backfill. So let me talk about one thing that  
23 was commented on about the, sort of this French  
24 drain. So now if the trench is under a wetland,

1 and you dig up the side of the road, you put in  
2 the trench, and it has this thermalized backfill  
3 which I think it was testified to is not  
4 impervious so water will flow. Is there a  
5 potential of draining a wetland in that area and  
6 having the water, if you will, go up and down  
7 the trench?

8 A (Carbonneau) I guess we couldn't necessarily  
9 rule that out as a possibility. My  
10 understanding is the fluidized thermal backfill  
11 is more permeable than, let's say, clay and less  
12 permeable than a sand for a gravel. So it's  
13 somewhat, it's in that range somewhere, and I  
14 don't know exactly where it will fall.

15 So it's not dissimilar from a lot of native  
16 soils in its permeability, but it will be  
17 different, could be different from what's there  
18 now.

19 Q And so this trench could in effect become a  
20 conduit to changing the hydraulics in that  
21 wetland?

22 A (Carbonneau) Well, it's possible, but at the  
23 same time you wouldn't necessarily want it to be  
24 impermeable because then it could completely

1           reduce flow across the landscape under the road.  
2           So, I mean, it could be a change, but my  
3           understanding is it's not too dissimilar from  
4           what's in the roadbase already for permeability.  
5           So our expectation is that the impacts may not  
6           be significant, but we haven't looked at that in  
7           great detail.

8           Q     Okay. How would you quantify that if it did?  
9           So if this trench was the outlet of a wetland  
10          and the wetland changed, say, I wouldn't say  
11          drained the wetland but changed the hydraulics  
12          and lowered the quality of the wetland or so it  
13          didn't flourish anymore. You changed the  
14          classification or it became smaller. Would that  
15          be quantified at all after the fact? I mean,  
16          you wouldn't know that until after the  
17          construction was done, correct?

18          A     (Carbonneau) Right. That's true. The Project  
19          for areas that are going to be temporarily  
20          impacted, that we know are going to be  
21          temporarily impacted need to be monitored for a  
22          two-year period beyond construction. In this  
23          case, if it's a wetland that's not directly  
24          affected by the Project but could have its

1 hydrology changed, that might not necessarily be  
2 part of the monitoring plan originally, but  
3 impacts caused by the Project, the Project's not  
4 permitted to exceed the impacts. So if it came  
5 to the Project's attention that they had done  
6 something that modified a wetland to the point  
7 where it no longer functioned as a wetland, that  
8 would be considered an impact. In that  
9 situation, my expectation is that New Hampshire  
10 DES would look at what was provided for  
11 mitigation and determine if any additional  
12 impacts were adequately compensated for already  
13 in the mitigation plan, and, if not, they could  
14 potentially request additional mitigation.

15 Q But you haven't taken that design element into  
16 account to minimize the wetland effect?

17 A (Carbonneau) We looked at it to make sure that  
18 it wasn't something that was so permeable that  
19 it would clearly change the drainage or that it  
20 was totally impermeable and that it would also  
21 change the drainage.

22 So in any given location, we're not sure  
23 exactly what the effects could be. Kind of  
24 depends on what the native material is there

1 now.

2 Q The one thing I would just mention is that the  
3 fluidized thermal backfill from the DOT  
4 standpoint, my understanding from their comments  
5 is it's only being reviewed for its compaction  
6 suitability. It's not being reviewed from a  
7 hazardous materials standpoint, a specifications  
8 standpoint, or what the heat element is actually  
9 going to have. Do I understand that right?  
10 Have you heard of anything else?

11 A (Tinus) I think some material information was  
12 provided to DOT as well addressing some of those  
13 other aspects. I can't recall the name of the  
14 supplier, but I believe there's some technical  
15 information and references to specifications in  
16 the additional reference materials supplied to  
17 DOT.

18 Q Okay. All right. And this goes a little bit to  
19 what Mr. Wright had just asked about. For fear  
20 of bringing on the wrath of asking the same  
21 question, I will modify it a little bit.

22 Ms. Carbonneau, when you were questioned by  
23 Attorney Manzelli of SPNF, she asked you about  
24 avoiding and minimizing wetland impacts in the

1 overhead section, and you responded with the  
2 following. And this was just last -- I forget  
3 what day it was. It was recent, and the  
4 transcript isn't up so I'll paraphrase since the  
5 transcript isn't available, but this is what my  
6 notes say.

7 There's small opportunities to avoid  
8 wetlands that exist, that Normandeau has done  
9 everything possible to help the designers change  
10 the plan to minimize wetland impacts. We've  
11 reached the point of diminishing return.

12 Do you remember that discussion and those  
13 type of comments?

14 A (Carbonneau) I do.

15 Q Okay. During the Construction Panel, and this  
16 would be great to have you both on the same side  
17 to clarify this.

18 During the Construction Panel testimony, we  
19 heard several times that the wetland impacts to  
20 the overhead transmission line were  
21 overpermitted; that the impacts were  
22 conservative, thus giving the contractor  
23 options. You've just answered that question  
24 from Mr. Wright. So you were aware of that.

1 A (Carbonneau) We're aware that, and I can see  
2 where this sounds like it's contradictory.

3 Minimizing impacts from our perspective was  
4 the location of the structures and the location  
5 of the access roads and the work pads, shifting  
6 those within the right-of-way to try and  
7 minimize those. But without having walked down  
8 every location with the contractors, there may  
9 still be some things that they need to shift  
10 within that footprint slightly. Or as we  
11 mentioned, they may be able to impact less and  
12 we're expecting that to take place.

13 But as far as minimizing during the  
14 permitting process, we were not trying to overly  
15 confine the contractors to have to try to build  
16 something that wasn't possible from their  
17 perspective, but we wanted to make sure that the  
18 temporary and permanent aspects of the Project,  
19 the design elements were in places that  
20 minimized impacts to the extent possible.

21 Q Okay. I didn't want to do this, but I think I  
22 will. Could we bring up the ELMO? Thank you.

23 So this is Committee's number 4 that I had  
24 presented to the Construction Panel. I have

1 written on it so you can see what the pads are  
2 and where the towers are. But one of the  
3 questions that I asked the Panel was this is the  
4 existing access road and this area, just for  
5 reference, this area is up in Millsfield.  
6 Dixville, I think. Dixville. It's through the  
7 Wagner Forest.

8 So they explained that this existing access  
9 route was a logging road that they used to  
10 access, and then the solid red lines represent  
11 the new access roads. So one of my questions  
12 was, it seems like an overkill. If you could  
13 access this pad from this road and this pad from  
14 this road, you wouldn't have to build this and  
15 you could avoid that wetland impact. And that's  
16 where they stated, well, it's basically  
17 overpermitted. We wanted to give the contractor  
18 options.

19 So really if you look at this, the access  
20 to this pad, this wetland here, you could avoid  
21 it by moving that access just a little to the  
22 north so that the access road to DC 205, if you  
23 move it forward, you have avoided that wetland  
24 impact. If you move the access to DC 204 over

1 here to the middle, you've avoided this wetland  
2 impact and this wetland. So you've sort of  
3 minimized the wetland impact. And then still  
4 again, you could eliminate the new access road  
5 to DC 203 to DC 204 and almost avoid that  
6 wetland impact. So in this one sheet, I've  
7 eliminated two wetland impacts and minimized  
8 one.

9 So that was my question to them, and I  
10 think it's more appropriate to you is how is  
11 that minimizing or helping the designers  
12 minimize or avoid wetland impacts?

13 MR. IACOPINO: Bill, would you leave that  
14 up? They may need it to answer.

15 A (Carbonneau) Yes. Thank you. Well, not being a  
16 contractor or a design engineer, I can tell you  
17 that construction is facilitated by being able  
18 to drive from one structure to the other without  
19 having to go through the structure that you've  
20 just placed there. So that's one reason why  
21 you'll see a work pad and then the access road  
22 sort of at the bottom of the work pad so it sort  
23 of bypasses the structure. Because in some  
24 cases these are large structural components that

1           they have to get from one place to another. And  
2           having, trying to wiggle around a structure that  
3           they just placed to get to the next one can be  
4           problematic. So one of those design elements is  
5           trying to keep the access road as straight as  
6           possible but not go right through the middle of  
7           the work pad of the previous structure because  
8           the structure is going be in the way at some  
9           point.

10           There may be slope issues, too, for  
11           example, your shifting of the line from DC 205  
12           to the east, I believe that would be? West  
13           perhaps. May run down a slope that would be  
14           problematic for their equipment. It looks like  
15           a side slope there slightly. They may have  
16           already determined that that wasn't possible to  
17           make that shift of the access road.

18           You are correct that they might be able to  
19           eliminate this access road between the two work  
20           pads, and to the extent that they can do that in  
21           the field, they will. It's kind of a balancing  
22           act between making sure we don't eliminate what  
23           turns out to be the best access for the  
24           contractors by minimizing their options through

1 our minimization process. We have to sort of  
2 take their issues into consideration with this,  
3 and in many cases the design engineers have not  
4 been able to make shifts we've requested because  
5 of things that we didn't consider. Terrain,  
6 existing structures, other things that they  
7 believe that the equipment that they're using  
8 isn't going to be able to navigate.

9 So leaving the contractors some options,  
10 although some of those options may involve some  
11 wetland impacts, it was something that we didn't  
12 have enough, necessarily, input from the  
13 contractors on in order for us to take it out of  
14 the design completely.

15 MR. WAY: Followup, if I could?

16 MR. OLDENBURG: Sure.

17 MR. WAY: Ms. Carbonneau, one of the  
18 benefits of having the Construction Team before  
19 us was when suggestions might be put to them,  
20 Mr. Bowes was very clear that he'd make a  
21 commitment to go back and review the design.  
22 When you have something put before you like,  
23 say, Mr. Oldenburg suggested or that somebody  
24 else may have suggested, what's that process for

1 taking that suggestion forward and getting the  
2 same level of scrutiny that just so happened to  
3 happen because they came before you.

4 A (Carbonneau) Oh, yeah. Absolutely. The  
5 Construction Team or this Panel certainly can  
6 take any suggestions back and work through them  
7 and see if there's something that can be done in  
8 that case. Until the contractors do their  
9 walkdown, sometimes the commitment isn't as firm  
10 as we'd like it to be because they may see  
11 things in the field that make it obvious to them  
12 as to what they can do, but we have taken  
13 constructive criticism from others and tried to  
14 implement that in the plan set. Ultimately,  
15 there's definitely still opportunity to do that  
16 right up through construction.

17 MR. WAY: So the suggestions that are being  
18 put forth, let's say, today and from the  
19 previous week, they're being put on a punch list  
20 as getting the same level of scrutiny that we  
21 would be getting through approaching Mr. Bowes.

22 A (Carbonneau) Yes. Absolutely.

23 MR. WAY: Thank you.

24 BY MR. OLDENBURG:

1 Q So the Construction Panel also testified about  
2 the access roads, that the access roads aren't  
3 designed. They basically, they walked them and  
4 said yes, these two lines that are 24 feet or  
5 however far apart, that should be where the  
6 access is, but they use a bulldozer to make  
7 them. They have to be relatively flat from side  
8 to side. They also said that grade, it's  
9 construction equipment so the grade could be  
10 tolerated, have a steeper than normal grade.  
11 But I guess if, and on this same sheet, the  
12 access road between DC 202 on the far left and  
13 DC 203 appears to go through some pretty steep  
14 terrain, cutting crossways against the  
15 topography which to me if you're putting a dozer  
16 road in, you're going to have a pretty steep cut  
17 and fill line that I don't think, I can't  
18 imagine is going to stay within 20 feet or 24  
19 feet, whatever your impact limit is.

20 So if they haven't designed the access  
21 roads and they haven't really determined what  
22 the cuts and fills are, how accurate are the  
23 wetland impacts associated with the access roads  
24 as well?

1 A (Carbonneau) Right. They're based on the design  
2 as its presented on the plans, and that's  
3 typical of a Project that's going through the  
4 permitting process. There may be some  
5 modification that get made in the field, in  
6 which case if there's a change to the impact  
7 area, then that needs to be cleared with New  
8 Hampshire DES before they do it. So I mean,  
9 there's a number of challenging locations on  
10 this site.

11 This is probably one of the most  
12 challenging areas, this portion of Dixville  
13 where we're on this fairly steep terrain. There  
14 are some existing logging roads but there's some  
15 new areas that will need to be traversed, and  
16 generally speaking, the pathway that's needed  
17 for the equipment is really 16 feet wide. So it  
18 does give them a little bit of leeway for  
19 creating some cut and fill slopes, and if that's  
20 not adequate in some locations, and it affects a  
21 wetland, then we would need to review that with  
22 DES.

23 Q The other example I gave them, and I won't put  
24 it up on the ELMO, but I think you've seen it

1 before, was in Deerfield where the two towers  
2 have to be placed basically in open water. I  
3 submitted it as Committee's number 5 and number  
4 6. Where there are, the access road is an  
5 impact to that waterway. So I asked how they  
6 were going to do that, and they basically agreed  
7 with what you've been testifying is they do it  
8 in winter. Wait for the water to freeze. What  
9 their comment was is that they wanted to show a  
10 wetland impact in case that didn't happen or  
11 occur, and this was sort of a worst case  
12 scenario.

13 So I'm trying to play the fact against that  
14 on the underground section you've got no wetland  
15 impacts and it looks like you're going to have  
16 wetland impacts, but on the overhead section  
17 you've got overestimated wetland impacts. Is  
18 the intent or do you think it will even out or  
19 are you going to meet that 20 percent rule from  
20 DES and have to reapply?

21 A (Carbonneau) I think it will -- it was never  
22 intended to be an evening-out process. From the  
23 beginning, our understanding was that the  
24 underground section would be in disturbed

1 roadbed, and that's why the impacts were  
2 assessed as no wetland impacts there. To the  
3 extent that the design has to be modified or  
4 final design indicates something different, then  
5 we address that as it comes up.

6 In the case of accessing across wetlands,  
7 if we know that the wetland needs to be crossed  
8 and there are structures in it, we have to show  
9 some kind of an impact. We can't guarantee that  
10 there won't be. And in that case, we have to  
11 put something on the plans. Otherwise, DES is  
12 going to come back to us and say how are you  
13 getting out to this structure. What if in the  
14 odd situation you don't have enough ice to get  
15 out there during the winter to make this work.  
16 You're going to have to have some kind of an  
17 impact. And I've worked on two Projects with  
18 Eversource on that pond.

19 So the D118 line and the G146 line both  
20 have structures in that pond. They were able to  
21 do that work in the winter on the ice which was  
22 great. The impacts were very minor. But they  
23 also were able to get out to those locations  
24 from getting permission from a landowner to

1 access them differently which would have  
2 resulted, even if it weren't covered in ice, a  
3 much reduced impact. We can't make that  
4 assumption on this Project. Those are kind of  
5 the negotiations that happen with the  
6 contractors during construction.

7 So if there's a way they can build this to  
8 minimize those impacts they're going to want to  
9 do it because it helps them out as well, but we  
10 have to make an assumption that there could be  
11 impacts by putting those structures in the  
12 ponds.

13 Q How does it help them out? I mean, we have an  
14 approved wetland plan that allows them to build  
15 the Project exactly as designed. So I'll sort  
16 of repeat what Mr. Wright said is what incentive  
17 does the contractor have to do anything but what  
18 the plans say which is impact all those  
19 wetlands?

20 A (Carbonneau) Well, it can save them money. I  
21 mean, if they can access these without having to  
22 put down extra timber mats and worry about  
23 access or maybe the ice not being sufficient  
24 that particular year when they want to get out

1           there to do the work, then that could be an  
2           incentive to find an alternative route that  
3           doesn't go straight across the pond.

4       Q    One of the things that I did and I sort of laid  
5           it out, I don't have the number, but for the  
6           Construction Panel, I sort of did the gut check  
7           of what has to be constructed in the overhead  
8           line. So if you went down the overhead line,  
9           their construction period is two years. That's  
10          what they basically said they were going to  
11          build the Project in. And you have 130 miles of  
12          access road, 1100 towers, 1100 crane pads for  
13          those towers. And if you did the math over two  
14          years, that means they have to have, they have  
15          to build at least 1100 feet of access road a day  
16          and two crane pads and two towers per day.

17                 It's multiple crews, I understand that, so  
18                 they have five, six, 10, 20 crews working all at  
19                 once to get this work done, but a lot of the  
20                 times you had mentioned the seasonal  
21                 restrictions. But as you just sort of admitted,  
22                 this is a sequential construction whereas you  
23                 have to go from tower 1 to tower 2 to tower 3.  
24                 Skipping the tower because it would potentially

1 have to be left for winter doesn't seem to be a  
2 viable option.

3 So a lot of the ifs/ands statements that  
4 have been made about we're going to restrict  
5 work here, we're going to restrict work there  
6 doesn't make sense that they can actually do  
7 that when a Project is so sequential. You just  
8 can't skip a tower or skip an area and go  
9 around.

10 A (Carbonneau) That is one of the things that the  
11 Construction Team is trying to work into their  
12 schedule right now to see exactly where those  
13 constraints are. Generally, the seasonal  
14 constraints aside from wanting to do as much  
15 clearing as possible in the winter and trying to  
16 access these open water areas in the winter,  
17 they're typically not affecting huge areas.  
18 They're often overlapping.

19 So, for example, open water areas are  
20 fairly limited on the Project route. But the  
21 Concord Pine Barrens has many competing  
22 overlapping restrictions. They're related to  
23 birds and wildlife and plants and a variety of  
24 things. So there will be sections where only

1 one aspect of the Project is limited to the time  
2 of year, for example, for northern long-eared  
3 bats, forest clearing wherever they've been  
4 detected is limited to the winter season. But  
5 other work after the clearing has taken place  
6 isn't restricted seasonally.

7 So some of the restrictions only apply to  
8 certain aspects of the construction, not all of  
9 the construction. And many of them are very  
10 specific in their location. So it's very  
11 complicated. There's no question about it. The  
12 Construction Team is grappling with that right  
13 now. These things are all going on a plan set.  
14 And they're trying to wrap their heads around  
15 how they're going to make this work.

16 Q And I have no doubt that it is extremely  
17 complicated when you take into account the  
18 plants and the birds and the bats and the winter  
19 and this, that and the other thing, it just  
20 seems extremely complicated and just hard to  
21 fathom how it's all going to get done in two  
22 years, but --

23 And this is actually my last question.  
24 Several times you given the explanation to

1 questions that DES, you have DES approval and  
2 you're going to meet the DES requirements. But  
3 it doesn't appear that DES has the final set of  
4 plans or the design plans for the underground,  
5 and we really don't know what the final impacts  
6 are going to be for the overhead section because  
7 the contractor can move their impacts or  
8 eliminate impacts or avoid impacts. So how do  
9 you manage, "I have an approval, but it's not  
10 what I'm going to build."

11 A (Carbonneau) During this process, if there are  
12 changes in the plan set, for example, in the  
13 underground, and that is all worked out, to the  
14 satisfaction of the SEC, those plans will be  
15 resubmitted to New Hampshire DES. And  
16 obviously, if there are changes in the impact  
17 that will be noted. During the construction  
18 process, any modifications have to be documented  
19 by the Monitors in the field, and DES has  
20 requested that the Monitors provide that to them  
21 at intervals. They want to make sure that the  
22 impacts are staying within the permitted amount,  
23 and if more occur, they're going to require more  
24 mitigation. That was their primary purpose.

1 But it all has to be documented on plan sets as  
2 to exactly what's happening where.

3 Now, our expectation is the impacts won't  
4 exceed what's out there, what's in the Permit  
5 Application at this time, and that they have a  
6 footprint that we all feel pretty comfortable is  
7 going to contain the work that's being proposed.  
8 Obviously, if there is a minor change in that,  
9 that gets reported to DES, and it all gets  
10 documented in the end so they can feel confident  
11 that the Project has done what it said, it's  
12 stayed within its permitted impact area, and if  
13 not, they have the documentation of what  
14 happened and why and they can deal with that.

15 That's happened on a number of projects  
16 I've worked on with Eversource. Things change a  
17 little bit in the field, they figure out they  
18 need a different foundation structure here or  
19 there, the impacts change a little bit, DES has  
20 been very responsive in addressing those things  
21 on the fly during construction.

22 Q Okay. I think that's all I have.

23 PRESIDING OFFICER HONIGBERG: All right.

24 We will take our lunch break and return as close

1 to 1:30 as we can.

2

(Lunch recess taken at 12:26

3

p.m. and concludes the **Day 20**

4

**Morning Session.** The hearing

5

continues under separate cover

6

in the transcript noted as **Day**

7

**20 Afternoon Session ONLY.**)

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**C E R T I F I C A T E**

I, Cynthia Foster, Registered Professional Reporter and Licensed Court Reporter, duly authorized to practice Shorthand Court Reporting in the State of New Hampshire, hereby certify that the foregoing pages are a true and accurate transcription of my stenographic notes of the hearing for use in the matter indicated on the title sheet, as to which a transcript was duly ordered;

I further certify that I am neither attorney nor counsel for, nor related to or employed by any of the parties to the action in which this transcript was produced, and further that I am not a relative or employee of any attorney or counsel employed in this case, nor am I financially interested in this action.

Dated at West Lebanon, New Hampshire, this 10th day of July, 2017.

\_\_\_\_\_  
Cynthia Foster, LCR