

STATE OF NEW HAMPSHIRE
SITE EVALUATION COMMITTEE

June 14, 2017 - 1:40 p.m.
49 Donovan Street
Concord, New Hampshire

DAY 16
Afternoon Session ONLY

{Electronically filed with SEC 06-21-17}

IN RE: SEC DOCKET NO. 2015-06
NORTHERN PASS TRANSMISSION -
EVERSOURCE; Joint Application of
Northern Pass Transmission LLC and
Public Service of New Hampshire d/b/a
Eversource Energy for a
Certificate of Site and Facility
(Hearing on the Merits)

PRESENT FOR SUBCOMMITTEE/SITE EVALUATION COMMITTEE:

Chmn. Martin Honigberg <i>(Presiding Officer)</i>	Public Utilities Comm.
Cmsr. Kathryn M. Bailey	Public Utilities Comm.
Dir. Craig Wright, Designee	Dept. of Enrивon.Serv.
Christopher Way, Designee	Dept. of Resources & Economic Development
William Oldenburg, Designee	Dept. of Transportation
Patricia Weathersby	Public Member
Rachel Whitaker	Alternate Public Member

ALSO PRESENT FOR THE SEC:

Michael J. Iacopino, Esq. Counsel for SEC
(Brennan, Caron, Lenehan & Iacopino)

Pamela G. Monroe, SEC Administrator

(No Appearances Taken)

COURT REPORTER: Cynthia Foster, LCR No. 14

I N D E X

WITNESS PANEL	DENNIS MAGEE ROBERT VARNEY LEE CARBONNEAU SARAH BARNUM JACOB TINUS	PAGE NO.
Cross-Examination by Ms. Connor		4

E X H I B I T S

EXHIBIT ID	D E S C R I P T I O N	PAGE NO.
CFP 343	Northern Pass EIS meeting minutes, 7/23/13	34

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

P R O C E E D I N G S

(Hearing resumed at 1:40 p.m.)

PRESIDING OFFICER HONIGBERG: All right.
Ms. Connor, although you said you had nothing further, we understood that you were just talking about those specific topics. You may proceed.

MS. CONNOR: Thank you very much.

CROSS-EXAMINATION CONTINUED

BY MS. CONNOR:

Q I wanted to start by bringing up Applicant's Exhibit 72. Ms. Carbonneau, when we were talking about the mitigation parcel you mentioned a Best Management Practice for the pine barrens. Is that what you were referring to in terms of Exhibit number 72?

A (Carbonneau) Yes. I believe that this is the document.

Q And it was my understanding that you referenced this Best Management document in connection with efforts that would be undertaken at the Concord Mitigation site to reintroduce the wild lupine and the Karner butterfly. Can you point to the section of this document that provides for that?

1 A (Carbonneau) No. That's not correct. This is
2 specifically for managing the right-of-way, the
3 existing right-of-way, not for any management
4 work on the mitigation parcel itself.

5 Q And am I correct that this particular document,
6 Exhibit 72, in fact says nothing specific with
7 regard to the wild lupine?

8 A (Carbonneau) Well, I see the words wild lupine
9 in there in the second to last paragraph. It is
10 meant to be an overall management plan that will
11 benefit wild lupine as well as all of the other
12 plants that are relied upon by Karner blue
13 butterflies and the other moths and butterflies
14 that are listed, State-listed species, as well
15 as some wildlife as well.

16 Q Would you agree that this Best Management
17 Practice guide is primarily geared at making
18 sure that other vegetation doesn't come into the
19 site as opposed to doing anything in particular
20 with regard to either the wild lupine or the
21 Karner?

22 A No. I would disagree with that. The input that
23 we received from Fish & Game and Fish & Wildlife
24 was specific to creating the right mosaic of

1 plants that would promote a variety of wild
2 lupine locations as well as other nectarine
3 plants for Karner blue butterflies and sort of
4 the right mix of the right vegetation for those
5 species.

6 Q Perhaps I misunderstood your testimony, but it
7 was my understanding that when you raised this
8 document, it was in reference to how the
9 mitigation parcel and/or the existing
10 right-of-way could be managed to bring back the
11 wild lupine or the Karner butterfly, and I just
12 don't happen to see that in this document. I'm
13 hoping you can point it out.

14 A (Carbonneau) That wasn't my purpose in bringing
15 it up. When I described this right-of-way
16 management plan, it was specific to the pine
17 barrens habitat, the open pine barrens habitat
18 that is in the existing right-of-way that
19 currently does support lupine and Karner blue
20 butterfly, and the goal is to ensure that it
21 continue to do that in the future. It's the
22 type of regular maintenance and disturbance that
23 is required for these species to thrive and
24 that's why they're there already, but this plan

1 helps tweak it so that it does that even better
2 by specifically working towards the perfect
3 combination of plants at different heights of
4 different species as Fish & Game and Fish &
5 Wildlife described would be ideal for these
6 species going forward. It's a long-term plan,
7 not related to the mitigation site itself
8 necessarily.

9 Q And it is a long-term plan that's already in
10 existence so it's not as if it's providing
11 something in addition as an offset to what will
12 happen should this Project be approved to go
13 through the Concord wild lupine site.

14 A (Carbonneau) It's not currently being managed in
15 quite this way. Right now, Eversource manages
16 this right-of-way in a standard method, I
17 believe, that is like just mowing it every three
18 to five years. This plan requires a survey
19 first to determine how much pitch pine and scrub
20 oak there are, in what kind of mosaic, how much
21 they should cut each year. So it's much more
22 prescriptive so it is not implemented right now
23 exactly, but it is designed to improve the
24 habitat even further in the future.

1 Q Will this Best Management Practice be applied to
2 the mitigation site or just the existing
3 right-of-way?

4 A (Carbonneau) That will be up to the Fish & Game
5 who we assume is going to be managing that
6 mitigation site. So they may have something in
7 addition to this. This is really specific to
8 right-of-way management. Fish & Game may
9 implement something a little different on the
10 mitigation parcel.

11 Q So we have no idea what protocol will be
12 followed on the mitigation parcel?

13 A (Carbonneau) We have a pretty good idea of what
14 they might do based on what they do on all of
15 the other places where they actively manage for
16 Karner blue butterfly.

17 Q I'd now like to turn to bats. Can I bring up
18 Exhibit 306?

19 Dr. Barnum, I think this is probably your
20 area of expertise. Am I correct that Exhibit
21 number 306 depicts a picture of an eastern
22 small-footed bat?

23 A (Barnum) Because it's labeled as such, I'll
24 accept it as such.

1 Q Does it resemble a small-footed bat?

2 A (Barnum) It does.

3 Q Thank you. Can you describe for the Panel for
4 the level and the rate of the population of the
5 small-footed bat in New Hampshire?

6 A (Barnum) The small-footed bat in New Hampshire
7 like other locations is known to be rare, and
8 precise information about its population is not
9 available.

10 Q Has the small-footed bat been impacted by white
11 nose syndrome?

12 A (Barnum) All the Myotis species have been
13 impacted to some degree, eastern small-footed
14 bats probably as well, but they are not the
15 species that have been found dead in the
16 thousands, and that could be because they're
17 rare. To begin with, there never were a lot of
18 them so there were less to be found. It could
19 also be because they may be somewhat less
20 susceptible than the other Myotis. It's unclear
21 at this time.

22 Q Can you describe what white nose syndrome is?

23 A (Barnum) It's a fungal disease that is
24 relatively novel. It first showed up in 2008 in

1 the State of New York, and it has spread rapidly
2 since then. It causes up to 99 percent
3 mortality of bats that overwinter in caves.

4 Q And how does it cause the bat mortality?

5 A (Barnum) There are a couple of different
6 pathways. One thing it does is because it's,
7 it's a fungus that basically spreads over the
8 exposed skin, the membranes of the wings, the
9 nose, the ears. The bats have to awake to
10 remove it, and so they're burning energy each
11 time they awake to do that over the winter.
12 Normally, they would spend the whole winter in a
13 state of hibernation. Every time they rouse
14 they burn precious fat reserves so some of them
15 are starving.

16 And then there's also an infection, the
17 fungus can actually burroughs into the membrane,
18 the wing membranes. So there's an infection
19 sort of effect which while the bats are
20 hibernating is suppressed, but once they arouse
21 then the body kicks in and has this reaction and
22 that can be fatal as well. Those are two
23 pathways.

24 Q And you mentioned that this particular disease

1 has had less of an impact on the small-footed
2 bat and more on other types of bats?

3 A (Barnum) Potentially, like I said. Their
4 populations have always been smaller so it's
5 difficult to say whether we're finding fewer
6 bats, fewer small-footed affected because there
7 are less of them to start with or just because
8 it may not affect them.

9 They tend to hibernate in the coldest part
10 of the cave, and they also go into hibernation
11 later than other species and come out of it
12 sooner so they also may also have less exposure,
13 and because they're in the coldest part of the
14 cave, the fungus may not grow as well on them,
15 although it is a cold-loving fungus so that's
16 why it's a problem for the bats.

17 Q I understand that you attended the Northeast Bat
18 Working Group meeting at UMass Amherst this past
19 winter?

20 A (Barnum) I was there. Yes.

21 Q And at that meeting, did you learn that the
22 small-footed bat in terms of New Hampshire is,
23 that the population is stable at the moment?

24 A (Barnum) That portion of the meeting, the State

1 reviews I don't believe are open to, I think
2 that portion of meeting happened in a -- I
3 wasn't part of that.

4 Q You mentioned that we don't know a lot about
5 this particular bat, is it fair to take from
6 that that we don't know a lot about its
7 populations along this route? We don't know a
8 lot about it in general?

9 A (Barnum) We assume that they're present along
10 the route, yes.

11 Q And because we would assume from the type of
12 habitat that's present along this route to find
13 this bat, did the U.S. Forest Service request a
14 habitat suitability assessment?

15 A (Barnum) This bat is a State-listed species so
16 the U.S. Fish & Wildlife Service made no
17 requests about how to assess the bat.
18 Additionally, I didn't receive much guidance
19 from the State from Fish & Game so I did decide,
20 however, that a habitat evaluation was
21 appropriate and conducted one.

22 Q Did New Hampshire Fish & Game recommend such a
23 study based on GIS modeling?

24 A (Barnum) There was some discussion of that.

1 However, better than GIS modeling is actually
2 going out and looking at it on the ground, and I
3 have walked extensive parts of the Project
4 right-of-way and feel that my direct
5 observations were far superior to any modeling I
6 could have done.

7 Q Can you describe or define what GIS modeling is?

8 A (Barnum) GIS stands for Geographic Information
9 System, and so it refers to a whole family of
10 different data products that you can put
11 together to come up with information about the
12 world outside.

13 Can you repeat your question?

14 Q I just wanted to make sure I understood and
15 everyone else in the room understood what GIS
16 modeling was.

17 A (Barnum) Was that sufficient?

18 Q That works. Instead of doing GIS modeling, it's
19 my understanding that you began your study of
20 bats potentially affected by the Project with a
21 database search supplemented with aerial photos,
22 is that correct?

23 A (Barnum) Yes.

24 Q Can you explain how that protocol is different

1 from either a habitat suitability study or GIS
2 modeling?

3 A (Barnum) Well, aerial photos are a form of
4 geographic information. So the information I
5 was considering were aerial photos. I didn't
6 add any additional geographic data layers to
7 that consideration because, as I mentioned, I
8 have seen in person what an awful lot of the
9 right-of-way looks like. So by looking at the
10 aerials and comparing that with my own personal
11 experience walking the right-of-way, I was able
12 to draw what I feel is very accurate conclusions
13 about what was represented in those photos.

14 Q Do you agree that identifying potential bat
15 habitat is an imprecise science?

16 A (Barnum) To the degree that the information
17 available in the literature about bat habitat
18 may be imprecise, then, obviously, what is being
19 identified is imprecise.

20 Q You're aware that Counsel for the Public
21 retained Dr. Scott Reynolds from Northeast
22 Ecological Services?

23 A (Barnum) I am.

24 Q And am I correct that Dr. Reynolds is an expert

1 in this area?

2 A (Barnum) I understand him to be such, yes.

3 Q And he prepared, did he not, a GIS model of
4 potential roosting locations along the route?

5 A (Barnum) Yes, he did.

6 Q Can we pull up Exhibit 332? Yes.

7 You've seen this before today, correct?

8 A (Barnum) I have.

9 Q It's my understanding that the red bubbles
10 reflect potential sites that Dr. Reynolds
11 identified that were also identified in your
12 study? Is that correct?

13 A (Barnum) That's what the caption on the figure
14 says.

15 Q And the purple bubbles reflect areas where there
16 are potential habitat based on aerial photos,
17 correct?

18 A (Barnum) That's what the caption says.

19 Q And the yellow stars reflect areas that
20 Dr. Reynolds concluded were likely habitat spots
21 based on GIS modeling?

22 A (Barnum) That's what the caption implies, yes.

23 Q Would you agree that there is a fair amount of
24 variation depending upon which method you use as

1 to potential bat habitats along this path?

2 A (Barnum) Yes, I would agree. That's why I think
3 that actual, on-the-ground, visual inspection in
4 person is the best way to make a determination
5 whether the habitat might be suitable or not.

6 Q Well, it's my understanding that the
7 small-footed bat roosts in rocky outcrops?

8 A (Barnum) That is correct.

9 Q So if you're walking the path, you're not
10 actually walking on these rocky outcrops, are
11 you?

12 A (Barnum) In some cases, yes.

13 Q Not in all cases, are you?

14 A (Barnum) Not in all cases, but --

15 Q You would need rock climbing gear; would you
16 not?

17 A (Barnum) In this particular right-of-way, none
18 of the rocky outcrops are so extreme that you
19 would require that kind of gear. Some places
20 you need to go around because you certainly
21 don't want to be going down them, but in all
22 cases you can certainly walk around, look up,
23 observe them, or actually stand on them.

24 Q It's my understanding that you concluded that

1 this Project may impact three known small-footed
2 bat locations.

3 A (Barnum) So of all the locations that identified
4 to potentially have suited habitat for
5 small-footed bat roosting, there are actually
6 four locations where the Project's structure
7 might actually be placed. So there are many
8 locations where there's suitable habitat. There
9 are four that are potentially going to be
10 impacted by construction of the Project.

11 Q It is my understanding that once through
12 modeling you identified a potential habitat, to
13 determine whether in fact that potential habitat
14 might be a known habitat, it was followed up
15 with further studies; is that correct?

16 A So the locations which look like there's
17 potential habitat, and there might be an impact
18 on it, we placed acoustic detectors and
19 collected data about the kind of bat species
20 that were present.

21 Q And, obviously, those acoustic detectors, if you
22 start with a smaller number, then you are
23 excluding a large number of sites of potential
24 bat habitats; in other words, all of the yellow

1 stars and all of the purple bubbles?

2 A (Barnum) Well, those are not my locations so I
3 wasn't looking at that to start with.

4 Q I understand that.

5 A But yes, we excluded areas were not going to be
6 impacted. There was no reason to determine
7 whether bats are present there or not because we
8 were not going to have an impact on them. We
9 limited our examination to those locations where
10 an impact had the potential to occur.

11 Q And it's my understanding that in reducing the
12 scope of potential habitats, you excluded sites
13 which, in your opinion, provided inadequate
14 protection from temperatures for the winter; is
15 that correct?

16 A (Barnum) That's not correct. The reason I
17 excluded sites was because they were not going
18 to be impacted by the Project. That was the
19 only basis on which I excluded an area from the
20 acoustic survey.

21 Q Can we pull up Appendix 36 to 9? Can we zoom in
22 on the bottom paragraph?

23 Dr. Barnum, I put on the screen here a
24 portion of the report that you put together on

1 that with regard to this particular Project.
2 I'm assuming you recognize it?

3 A Yes.

4 Q One of the statements that you made in the
5 report on bats is that, "impacts could be
6 avoided or limited if construction occurred in
7 the time of the year when bats are active but
8 when they didn't have pups so that they could
9 escape as needed."

10 Are you aware of any empirical studies that
11 support this theory that bats if subjected to
12 construction noise or blasting will escape?

13 A (Barnum) So I'm not. There are no empirical
14 studies available, and upon further
15 consideration of this issue and in coordination
16 with Fish & Game, we are revisiting this
17 recommendation, and we are going to design an
18 avoidance minimization recommendation that will
19 consider the fact that there is no empirical
20 evidence suggesting that bats can escape. So
21 this is going to be reworked.

22 Q So, in other words, there's no scientific basis
23 for this proposition that bats are going to be
24 just fine because they can fly out on their own?

1 A (Barnum) Right.

2 Q Once the blasting starts.

3 A (Barnum) That is correct. There is no empirical
4 evidence that they will fly out. There is no
5 empirical evidence that they won't. It's just a
6 complete unknown. There have been some
7 suggestions to do some studies, but to this
8 date, nobody has followed through and collected
9 that information.

10 Q As we sit here today in front of the Panel, we
11 then don't have an avoidance BMP with respect to
12 small-footed bats because this was the one that
13 you designed.

14 A (Barnum) Yes. That's correct. Currently, I'm
15 actively working with New Hampshire Fish & Game
16 to design avoidance minimization measures for
17 small-footed bats.

18 A (Carbonneau) If I might, there is a condition in
19 the New Hampshire Wetlands Permit Conditions
20 that we continue to work with New Hampshire Fish
21 & Game and resolve any ongoing areas of AMM
22 development prior to construction, and we are
23 actively engaged in that.

24 Q Can we pull up that Best Management which is

1 Exhibit 336?

2 Small-footed bats is in the third column at
3 the top.

4 So I understand from your testimony that it
5 is your expectation to add to the minimization
6 protocol, but for the moment, what we know is
7 that you are recommending that roosting habitats
8 be avoided between June 1st and July 30th; is
9 that correct?

10 A (Barnum) That's currently what's in this
11 recommendation here, but that is going to be
12 changed.

13 Q Do you know in what respect it's going to be
14 changed in terms of length of time or seasonal
15 restrictions?

16 A (Barnum) I don't know at this point.

17 Q The second bullet point indicates that if these
18 features cannot be avoided, which sort of sounds
19 similar to if a particular practice is not
20 practicable, that there's going to be some kind
21 of survey between June 1st and July 30th; is
22 that still the case?

23 A (Barnum) I believe that the avoidance
24 minimization measures that we will be adopting

1 will involve surveys, yes.

2 Q And will those surveys be conducted during the
3 course of construction after construction has
4 started?

5 A (Barnum) That's part of what has to be decided.
6 I mean, bats are only active and available to be
7 detected during certain times of the year. So
8 any avoidance and minimization measures that
9 rely on survey need to take that into account.
10 So there has to be a decision about at what
11 point in the construction process it would be
12 most appropriate to do the surveys, and that's
13 sort of the crux of discussions.

14 Q The Best Management Practice also indicates that
15 potential habitats must not be subject to
16 blasting from October 15th through April 15th,
17 and that's because that's when the bats could be
18 hibernating; is that correct?

19 A (Barnum) Correct. Yes.

20 Q Actually leaves you a really small window of
21 time in which blasting could occur, does it not?

22 A (Barnum) That is correct.

23 Q Especially if the June 1 to July 30th time frame
24 is expanded?

1 A (Barnum) I believe that the use of the surveys
2 to detect whether bats are actually present or
3 not is going to be important to how this plays
4 out.

5 Q Doesn't this Best Management Practice concede
6 that the bats could be present basically at any
7 point in time during the calendar year making it
8 impossible to blast without impacting then?

9 A (Barnum) That is correct. That's why survey is
10 important. Survey techniques to detect whether
11 they're actually there or not will become
12 important to the whole process.

13 Q Is there a survey that can detect a hibernating
14 bat?

15 A (Barnum) Not to my knowledge which is why the
16 surveys have to take place during the
17 nonhibernating season. You could do some
18 infrared type-survey. However, I would believe
19 the bats would be deep enough in the crevasses
20 that that wouldn't work so --

21 Q Do we know anything about this preblasting
22 survey in terms of whether it would involve bat
23 calls or calls manually vetted so as not to
24 include the small-footed bat?

1 A (Barnum) If we used an acoustic survey, the
2 analysis of the acoustic data after it's been
3 collected would be appropriate to the species,
4 and it would follow any recommendations given to
5 us by the agencies to satisfy their needs in
6 terms of identification.

7 Q And who is going to be responsible for
8 identifying the sites, monitoring them
9 acoustically, analyzing the data to determine
10 the presence or absence and then authorizing the
11 ability to move forward with blasting?

12 A (Barnum) That will be the responsibility of the
13 environmental monitor.

14 Q Is this Project going to have an environmental
15 monitor exclusively for bats?

16 A (Barnum) If the AMMs call for those skills for
17 somebody who has that, who's qualified to do
18 that work, then the Project will need to hire an
19 environmental monitor who can do that work.

20 Q That's why we're kind of in an unfortunate
21 Catch-22 because you've told me that the
22 small-footed bat BMPs are going to be rewritten
23 so I don't know what they're going to call for,
24 and no one else here in the room is going to

1 know.

2 A (Barnum) Correct.

3 Q Does this mean we're at this proceeding
4 prematurely?

5 A (Barnum) I don't understand your question.

6 Q Well, how can we determine what impact this
7 Project is going to have on these bats if we
8 don't have an inventory or Best Management
9 Practice or an avoidance practice?

10 A (Barnum) The conditions of the permit that's
11 being issued by the DES requires that we meet
12 those standards in order to move the Project
13 forward.

14 Q Does the Applicant have the right to overrule
15 whatever determination is ultimately made by
16 whatever environmental monitor you hire for this
17 part of the project?

18 MR. WALKER: Objection. This calls for a
19 legal conclusion.

20 PRESIDING OFFICER HONIGBERG: Ms. Connor?

21 MS. CONNOR: All right.

22 BY MS. CONNOR:

23 Q Do we have any protocol as to how the
24 environmental monitor will interact with the

1 Applicant?

2 A (Carbonneau) At this time, we don't know exactly
3 who the environmental monitors will be.

4 Presumably, they will be hired by the Project.

5 The requirements of the permit conditions and
6 the avoidance and minimization measures indicate
7 that the individuals who perform environmental
8 monitoring associated with wildlife or rare
9 plant avoidance and minimization during

10 construction have the appropriate credentials to
11 do that work, and that is a commitment that
12 Northern Pass has made. So those individuals
13 will have a variety of responsibilities.

14 Implementing a bat survey could be one of them.

15 They need to have the credentials that Fish &
16 Game is satisfied with in order to do that work.

17 Q In terms of timing as we move forward, we know
18 that we can only do this potential survey of the
19 bats during the summer. Is there a proposal for
20 some type of survey to be done this summer?

21 A (Barnum) So when we did our bat survey in 2015,
22 we did specifically survey for small-footed
23 bats, and of the locations that we surveyed for
24 them, we did detect them in one location. So we

1 know they're present. There is no proposal
2 currently to survey this summer, but if it's
3 part of the avoidance minimization measures for
4 the Project, there will be appropriate survey
5 done at an appropriate period before
6 construction occurs.

7 Q Well, we know that the bats aren't going to fly
8 away when you start blasting, and I understood
9 from your answer what we're going to do instead
10 is have some kind of survey but nothing is
11 planned.

12 A (Barnum) We don't know if bats will fly or not.
13 There's no proof that they will and no proof
14 that they won't.

15 Q But you've decided to abandon that as a BMP?

16 A (Barnum) It seems more prudent to confirm
17 beforehand whether they're there or not.

18 Q What you're telling me, as I understand it, is
19 there's no process yet or no plan for how you're
20 going to decide whether they're present on a
21 going-forward basis?

22 A (Barnum) We'll conduct a survey and the survey
23 will be designed to either detect presence or
24 absence.

1 Q But we don't know when the survey is going to be
2 conducted, we don't know who's going to do it or
3 how it's going to be done?

4 A (Barnum) The process plays out that way. It's
5 the standard sort of approach when you've got a
6 construction project like this. You may make a
7 plan for what you're going to do before the
8 construction happens, and then as the timeline
9 of the Project progresses you implement that
10 plan, and this will be part of that plan.

11 Q But doesn't that preclude this Committee's
12 ability to review the merits of the plan?

13 A (Barnum) That Committee will have to make that
14 decision, yes.

15 A (Carbonneau) The plan will be reviewed by New
16 Hampshire Fish & Game so we do know that the
17 experts in the field will have that input into
18 the plan, and we're talking about a fairly
19 limited number of locations along the Project
20 route. So they are areas that can be returned
21 to later on.

22 If construction in those locations is
23 imminent, then the survey will be conducted in a
24 timely manner. It doesn't mean that work on the

1 Project cannot begin, but these are very limited
2 locations, and they will be thoroughly evaluated
3 with input from Fish & Game prior to any work
4 that could impact small-footed bats in those
5 locations.

6 Q Have you identified the size of the population
7 of the four locations you discovered?

8 A (Barnum) So the four locations that have
9 potential habitat that might be impacted by the
10 Project at one of those locations we had a
11 positive finding from the acoustic survey.
12 Acoustic surveys can tell you presence or
13 absence. They can't give you any information
14 about population size. So we know we had a
15 positive hit at one location, and that's the
16 information we have.

17 Q Can you describe what mist netting is?

18 A (Barnum) Yes. It's using a fine mesh net to
19 capture bats.

20 Q Was mist netting used as a mechanism to
21 determine potential populations at any of the
22 four locations?

23 A (Barnum) No. The Project has not implemented
24 mist netting for any species at any location.

1 Q Why not?

2 A (Barnum) The surveys we did were all
3 presence/absence surveys, and the US Fish &
4 Wildlife Service recommends acoustic survey for
5 presence/absence surveys. You can use mist
6 nets, but they also approve the use of acoustic
7 surveys.

8 Q Is mist netting more precise than acoustic?

9 A (Barnum) You can actually capture the bat in
10 your hand, you can take a look at it, you can
11 get a definitive species assessment. The amount
12 of area that you're surveying with a mist net is
13 very limited. The amount of area that you're
14 surveying with acoustic survey is also limited.
15 They both have limitations. I wouldn't say that
16 mist netting is more precise. It's just a
17 different approach.

18 Q Am I correct that New Hampshire Fish & Game
19 indicated that if you were unable to guarantee
20 clearing out of season, then some level of both
21 acoustics and targeted mist netting was
22 required?

23 A (Barnum) No. That's not correct.

24 Q I'm sorry. U.S. Fish & Wildlife.

1 A (Barnum) U.S. Fish & Wildlife requested that we
2 follow the Indiana Bat Summer Guideline Survey
3 protocol. That also applies to northern
4 long-eared bat which was the main target of our
5 survey, and as long as we followed that
6 protocol, they were satisfied with what we were
7 doing. We indicated to them we'd be using the
8 acoustic approach, and they indicated that that
9 was sufficient.

10 Q I'm looking at the July 23rd, 2013, meeting
11 minute notes. I'm not sure if we're able to
12 pull these up? I can put it on the ELMO. Okay.

13 (Discussion off the record)

14 BY MS. CONNOR:

15 Q These are the meeting minute notes from July
16 23rd, 2013. I'm going to flip the page because
17 that's where it has the part that I was
18 interested in, but I wanted you to know where I
19 was reading from.

20 I'll give you a minute to read what I
21 circled in red pen.

22 So am I correct that, according to these
23 meeting minutes, if any of those bats were found
24 through the acoustic study, in fact, you were

1 asked to do mist netting?

2 A (Barnum) If Northern Pass wasn't able to
3 guarantee clearing out of season, then some
4 level of survey was required. In the locations
5 where we have detected northern long-eared bat
6 through our survey or have an inclusive result
7 which might or might not be in the northern
8 long-eared bat or in the locations where the
9 survey didn't provide enough data to make a
10 conclusion, the Project has guaranteed
11 out-of-season clearing at all those locations.
12 So we met the request here.

13 Q With the disclaimer that I know nothing about
14 bats, I read this sentence to suggest that
15 unless you get no hits acoustically that you're
16 supposed to mist net. Am I missing something?

17 A (Barnum) Yes. That's not how I understand this
18 sentence.

19 Q You understand it to not impose a requirement
20 for mist netting?

21 A (Barnum) If Northern Pass is unable to guarantee
22 clearing out of season, then, blah, blah, blah.
23 So in those locations where we we're not able to
24 make a determination that the bat wasn't

1 present, we will be clearing out of season, the
2 project will clear out of season. Therefore, no
3 further survey is required in those locations.

4 Q So no mist netting is required because you're
5 going to clear out of season.

6 A (Barnum) Correct.

7 Q And yet the Best Management Practices don't
8 require that. So how do we know you're going to
9 clear out of season?

10 A (Barnum) Our Best Management Practices do state
11 that we'll clear out of season in those
12 locations where we either thinks bats are
13 present or we don't have enough data to make a
14 determination.

15 Q And there's no escape clause if it's not
16 practicable?

17 A (Barnum) There is no escape clause.

18 Q Okay. So you're telling this Panel that you
19 will absolutely clear out of season.

20 A (Barnum) In those locations where we think bats
21 might be present, where we don't know for sure
22 whether they're there or not or we don't have
23 enough data. Location where we did the survey
24 and we got no hits, then those locations could

1 be cleared in season.

2 PRESIDING OFFICER HONIGBERG: Ms. Connor,
3 is the document on the ELMO an exhibit already
4 marked or not? Seems like the answer might be
5 no.

6 MS. MERRIGAN: I don't believe it is, but
7 we'll mark it, and I'll have it emailed and
8 loaded up tonight.

9 PRESIDING OFFICER HONIGBERG: Okay. Thank
10 you.

11 MS. MERRIGAN: You're welcome.

12 MR. IACOPINO: Do you know what number it
13 will be?

14 MS. MERRIGAN: It will be Counsel for the
15 Public's Exhibit 343.

16 BY MS. CONNOR:

17 Q All right. I'm going to move on to the northern
18 long-eared bat. Can you explain what this
19 animal is?

20 A Northern long-eared bat is another species of
21 Myotis. We have three Myotis species in New
22 Hampshire: little brown, northern long-eared and
23 small-footed. The northern long-eared bat was
24 once one of our most common bats. Widely

1 distributed, abundant. If you went out and
2 surveyed bats in any location in New Hampshire,
3 you would have expected to detect this bat.
4 They have been severely decimated by white nose
5 syndrome, up to 99 percent mortality, 100
6 percent in some locations. As a result of this
7 precipitous drop in population, they've been
8 listed as threatened by the U.S. Fish & Wildlife
9 Service, and that listing occurred in 2015.
10 They're also listed by the State of New
11 Hampshire.

12 Q And do I have up on the monitor here Exhibit
13 number 305, a picture of a northern long-eared
14 bat?

15 A (Barnum) Again, because it's labeled as such,
16 I'll accept it as such.

17 Q Now, it's my understanding that there is no
18 inventory of northern long-eared bats. We just
19 know that there are very, very few of them left
20 because of white nose disease?

21 A (Barnum) All researchers who work on bats,
22 there's a consensus that that is the fact for
23 northern long-eared bats.

24 Q Are there long-eared bats implicated by this

1 Project?

2 A (Barnum) Please clarify your question.

3 Q Well, does this Project go through habitat where
4 one would expect to find northern long-eared
5 bats?

6 A (Barnum) Yes, the entire State of New Hampshire.
7 This is a forest dwelling bat. Like I said, it
8 used to be found throughout the state in pretty
9 much every forested habitat. So the entire
10 State of New Hampshire is suitable habitat for
11 this species, and the Project passes through,
12 you know, the state. It's all suitable
13 basically.

14 Q Can we pull up Exhibit 336? You found it before
15 I did.

16 The very bottom of middle column here on
17 Exhibit 336, it's my understanding that in terms
18 of Best Management Practices for the long-eared
19 bat consists of one bullet?

20 A (Barnum) Correct.

21 Q And that is no tree cutting shall occur during
22 the active season, April 15th to September 30th,
23 correct?

24 A (Barnum) Yes.

1 Q You mentioned that the northern long-eared bat
2 is forest dwelling. Do they also dwell in the
3 trees beyond that time frame?

4 A (Barnum) No. This seasonal closure reflects
5 their behavior to hibernate in caves, and so
6 after September 30th and before April 15th,
7 generally speaking, they're going to be in their
8 hibernacula and not in the trees.

9 Q This Best Management Practice indicates that no
10 tree cutting shall occur during the active
11 season in, quote, "known," unquote, northern
12 long-eared bat locations.

13 A (Barnum) That's correct. And that should be
14 modified to reflect known locations, locations
15 where we may or may not have them and then the
16 locations where we don't have enough data to
17 make a determination.

18 Q So the northern long-eared bat BMP is also going
19 to be amended?

20 A (Barnum) Correct.

21 Q And can you give that to me one more time as to
22 how you're going to amend it?

23 A (Barnum) So locations where the bat is known to
24 be present, locations where the bat has the

1 potential to be present based on the data that
2 we got was ambiguous. We couldn't determine
3 whether there were northern long-eared bats or
4 not. And locations where we don't have enough
5 data to make any determination at all.

6 Q Given those additional locations where know tree
7 cutting is going to occur between April 15th and
8 September 30th, can you give this Panel some
9 idea of how many locations we're talking about?

10 A (Barnum) It's about 40 kilometers of the
11 Project.

12 Q The Best Management Practice says that in these
13 areas, no tree cutting shall occur. No tree
14 cutting within what zone? Five feet, 100 feet,
15 a mile?

16 A (Barnum) No tree cutting within the
17 right-of-way.

18 Q So if there is a bat that is hibernating in a
19 tree right outside the right-of-way, trees can
20 be felled?

21 A (Barnum) Bats don't hibernate in trees. Bats
22 hibernate in caves.

23 Q You're right. I should have used the word
24 roost. Sorry.

1 A Yes. They're roosting.

2 If the bat is not within the right-of-way,
3 the tree will not be felled. I mean, we're only
4 felling within the right-of-way. So if the bat
5 is outside the right-of-way in a tree, if it's
6 outside the right-of-way, that tree won't be
7 felled, and it won't be subject to impact.

8 Q And all of the trees that are felled are going
9 to line up neatly right inside the right-of-way?

10 A (Barnum) To the degree possible, yes, because
11 there are other considerations that the, they
12 need to, it's not, if it's not their property,
13 whatever, the trees need to come down inside the
14 right-of-way.

15 Q Are there recognized protocols where Best
16 Management Practices identify and prohibit
17 construction activities within a particular
18 buffer zone from known roosting sites?

19 A (Barnum) There are.

20 Q And why is it that you're not considering that
21 Best Management Practice for the northern
22 long-eared given how precarious its situation in
23 New Hampshire now is?

24 A (Barnum) We are following the guidance that the

1 U.S. Fish & Wildlife Service provides through
2 the 4(d) rule, and that guidance states that you
3 need to avoid clearing within areas that have a
4 known maternity tree or hibernacula, and we
5 don't have any known maternity trees or
6 hibernacula within the right-of-way.

7 Q Would you agree that a Best Management Practice
8 that also included a buffer zone might be a
9 preferred practice for purposes of safeguarding
10 the northern long-eared bat?

11 A (Barnum) If we had those resources, we would
12 have followed those buffers. However, we don't
13 have those resources within the right-of-way.

14 Q Did the Applicant generate an environmental
15 monitoring plan?

16 A (Barnum) We don't have anything labeled as such.

17 A (Carbonneau) That's right. We have several
18 monitoring plans that are required as a
19 condition of the Permit Applications. We have
20 notes about what the environmental monitors have
21 as part of their responsibilities on the
22 Project. Those are in plan sheet notes. We
23 have monitoring requirements for restored
24 wetland areas.

1 So there's a variety of environmental
2 monitoring requirements, some of which have
3 plans already and some of which are identified
4 as needing to be completed 90 days prior to
5 construction, for example.

6 Q Did the Applicant generate a compensatory
7 preservation forest plan?

8 A (Barnum) There's no such plan. The mitigation
9 does include 150 acres of land, most of which is
10 forested.

11 Q Did the Applicant generate a postconstruction
12 monitoring plan?

13 A (Barnum) I'll let Lee speak to that.

14 A (Carbonneau) We have postconstruction monitoring
15 requirements in the permit conditions that apply
16 to restored wetland areas and wild lupine
17 temporary impact areas.

18 Q But no postconstruction monitoring plan with
19 respect to bats?

20 A (Carbonneau) Correct.

21 A (Barnum) Correct.

22 Q Did the Applicant generate a construction
23 blasting impact plan which I understand was
24 requested by New Hampshire Fish & Game?

1 A (Barnum) We don't have anything yet.

2 Q Did the Applicant develop a programmatic
3 agreement with impact on northern Myotis?

4 A (Barnum) So at one point during discussions
5 about northern long-eared bat prior to its
6 listing, there was a discussion of having a
7 programmatic agreement in order to determine how
8 we were going to survey for the bat and what the
9 approach to minimization would be.

10 However, since the bat was listed in 2015,
11 and U.S. Fish & Wildlife service issued general
12 guidelines about how all projects should
13 approach the species in terms of survey and then
14 avoidance once survey had been conducted, the
15 guidance that is applicable to all projects all
16 throughout the US became the document that we
17 followed instead of generating our own specific
18 programmatic for this Project.

19 Q Am I correct that that particular agreement as
20 well as all the other plans that I was referring
21 to were items of discussion that the Applicant
22 was going to at one time produce?

23 A (Barnum) They're all items that were discussed.
24 The listing of the northern long-eared bat and

1 the adoption of general guidelines that were to
2 be used throughout the US for all types of
3 Projects superseded a lot of those discussions.

4 Q So we're left with a Project with an application
5 that is pending that, at least with respect to
6 bats, sounds like there's a lot more work to do.

7 A (Barnum) For the northern long-eared bat, we've
8 conducted the surveys, we've determined where
9 the bat is present, where we think it might be
10 present. We know the locations where we don't
11 have enough data. We've submitted our
12 information to the agencies, the agencies have
13 accepted the information we've submitted, and we
14 feel very confident that the plan we have for
15 northern long-eared bats going forward is
16 sufficient.

17 Q You left out of that answer anything about the
18 small-footed bat.

19 A (Barnum) The small-footed bat is not regulated
20 by the U.S. Fish & Wildlife Service. We don't
21 have the same level of guidance or specificity
22 for that, which is why we are currently working
23 with New Hampshire Fish & Game to develop
24 similar guidance because we don't have that same

1 national guideline to apply to that species.

2 Q And without any of that information, how is it
3 we can determine whether this Project will or
4 will not have an unreasonable impact upon the
5 small-footed bat?

6 A (Barnum) The locations where we potentially
7 might impact the bat are very limited, and the
8 work we're doing with the agencies is
9 appropriate. It's an appropriate way to move
10 forward when you have a species where there
11 aren't well-established guidelines and
12 procedures, and we feel confident that what we
13 come to for an agreement with Fish & Game will
14 provide sufficient protections for that animal.

15 Q I'm going to move on to deer. I don't know if
16 that's still you, but if it is, we can have a
17 discussion about deer.

18 A (Barnum) Okay.

19 Q Can you describe for the Panel what a deer
20 wintering area is? Commonly known, apparently,
21 as a DWA?

22 A (Barnum) Yes. Deer Wintering Areas are the
23 locations where white-tailed deer will spend the
24 winter when conditions are right. There are

1 locations where the snow depths are limited,
2 where there's typically softwood overstory to
3 protect from wind, also keep the temperatures a
4 little higher there so just a place where the
5 deer are going to have less stress and expend
6 less energy because the snow isn't as deep and
7 the weather conditions aren't as harsh.

8 Typically, they also provide some level of
9 browse so that there's something to eat.

10 Q And am I correct in imagining that a deer
11 wintering area would be a location where there
12 would be a number of deer clustered together?

13 A (Barnum) Yes. The higher value Deer Wintering
14 Areas will have a number of deer, and one of the
15 things that they'll do since there's a bunch of
16 them is they'll create paths and all be walking
17 in the same place, and that also helps with
18 conserving energy because obviously it's easier
19 to walk in a path that the other deer have
20 stomped down already.

21 Q Is there any average size to a deer wintering
22 area? In other words, do you have to have a
23 certain number of deer within it to qualify to
24 be a DWA?

1 A (Barnum) No. Other states may identify their
2 Deer Wintering Areas in different ways, but in
3 New Hampshire there are no parameters like that
4 that are applied.

5 Q What is an MCA?

6 A (Barnum) MCA is a moose concentration area.
7 Moose Concentration Areas are somewhat similar.
8 Moose are not nearly as limited by deep snow and
9 cold temperatures as deer. They are designed to
10 survive those conditions. So MCAs are generally
11 places where moose are finding browse and a lot
12 of times it's counterintuitive. They're
13 actually up in higher elevations, where the
14 conditions may be harsher but because of the
15 wind might make the snow a little less deep, the
16 browse is exposed. And MCAs are also less
17 static on the landscape. DWAs tend to be very
18 used repeatedly over generations by deer whereas
19 MCAs can move around in response to how the
20 vegetation is succeeding. If one place the
21 vegetation grows to a certain level and is no
22 longer good browse, the moose might start using
23 a different location where the browse is good so
24 they're a little trickier.

1 Q And how are either the Deer Wintering Areas or
2 the Moose Concentration Areas impacted by this
3 Project?

4 A (Barnum) Removal of the vegetation would remove
5 the features that are in part responsible for
6 making those areas into MCAs or DWAs.

7 Q All right. I've enlarged the Deer Wintering
8 Area Best Management Practice in Exhibit 336.
9 This indicates that the Applicant should avoid
10 work in these areas, again, when practicable.
11 When would it not be practicable to avoid work
12 in the DWAs since they are important to that
13 particular species?

14 A (Barnum) Construction has many considerations,
15 not all of which I'm privy to, and so those
16 considerations need to be made when deciding
17 whether it's practicable or not.

18 A (Carbonneau) One potential conflict is where
19 there are wetlands, for example. Wetlands are
20 best cleared if you're doing work in them or
21 worked on during frozen conditions in the winter
22 so there's a conflict there. And it's
23 relatively common for DWAs to be located in
24 wetlands so it's absolutely an area where

1 conflict might occur.

2 Q In that particular instance, you have to choose
3 between the deer and the wetlands?

4 A (Carbonneau) Yes.

5 Q The Best Management Practice which indicates
6 that you should avoid work when the snow depth
7 is deep, what's the significance of that? The
8 16 inches or greater?

9 A (Barnum) That's a standard that comes from the
10 literature. The literature, you'll see
11 references often to 16 inches or greater being
12 the conditions where deer start to yard up.
13 Crusted snow is also really important, too,
14 though.

15 Q The point of my question is why is that so? I
16 understand, it's in the literature but why?

17 A (Barnum) Because deer are that tall. At that
18 point, it's hard for them to walk through the
19 snow, and as cloven-hoofed animals they don't
20 have much surface area on their feet compared to
21 their body weight. So at some point, based on
22 how tall they are, how long their legs are, it
23 just becomes really difficult to move and
24 they're expending a lot of energy in order to

1 walk through the snow particularly when it's
2 crusted.

3 Q So would that size differential explain why the
4 avoidance of work in the moose areas is 30
5 inches or greater as opposed to 16?

6 A (Barnum) Absolutely. Exactly.

7 Q And again, I think we've had this discussion
8 repeatedly now with various species, but the
9 determination of whether or not it's practicable
10 comes down to the environmental monitor, the
11 contractor and the Applicant?

12 A (Barnum) Yes. And also the Agency would be part
13 of the discussion.

14 Q According to the transcript from the May 31st
15 hearing before this Panel, Kenneth Bowes was
16 asked about this concept of the independent
17 third party oversight, the environmental
18 monitor, and I understand that it was recognized
19 that this person, whoever they are, should
20 indeed be independent. Do you agree that that's
21 important?

22 A (Barnum) Well, somebody has to pay that person
23 so --

24 Q That is true. But then how do you assure that

1 the environmental monitor is independent?

2 A (Barnum) There's going to be multiple monitors.
3 Monitors hired by the construction company. And
4 they'll be monitors from DES? Is that correct?

5 A (Carbonneau) We don't know.

6 A (Barnum) So there's different layers of
7 oversight.

8 Q Is there any written protocol to your knowledge
9 explaining how the environmental monitor is
10 selected?

11 A (Barnum) I'll have to defer to Lee on that.

12 A (Carbonneau) I don't know that there's anything
13 written about exactly how the selection takes
14 place. If there is, I'm not aware of it. What
15 we do know is that the monitors who are
16 responsible for wildlife-related issues need to
17 have adequate credentials to assess those
18 particular resources that they become
19 responsible for, and the same would be true for
20 anything related to rare plants.

21 Q And because we're talking about a wide variety
22 of species from the lupine to the moose, is it
23 fair to say we're going to need environmental
24 monitors from many different backgrounds?

1 A (Carbonneau) There will be certainly more than
2 one monitor, and depending on their credentials,
3 will depend on how many are needed and where
4 they get deployed.

5 Q Should the environmental monitor have the
6 authority to halt construction?

7 A (Carbonneau) Yes.

8 Q Is there anything that you're aware of that's
9 written either in a Best Management Practice or
10 a protocol that indicates whoever is identified
11 as an environmental monitor or monitors on this
12 Project will have that authority to halt
13 construction if he or she determines it
14 appropriate?

15 A (Carbonneau) I'm not aware of that at this time.

16 Q So we agree that they should have that
17 authority, but we don't know if they will have
18 that authority.

19 A (Carbonneau) Again, I have not seen anything in
20 writing to that effect. I don't know if Jake
21 Tinus, are you familiar?

22 A (Tinus) I'm not familiar with that aspect as you
23 just described, but I do recall from the
24 Construction Panel discussing that they envision

1 the monitors to be sort of spread out
2 geographically, one perhaps in the north, one in
3 the central part and one in the southern part
4 that would oversee the work for Eversource, and
5 then contractors would also have their own set
6 of monitors. And DES and these, the monitor
7 from Eversource and the monitor from the
8 contractors would meet regularly and be able to
9 make decisions on whether or not an action would
10 require, you know, some level of stopping of
11 work, for example, or some other activities that
12 need to be rectified. I'm just trying to
13 reiterate what I recall the Construction Panel
14 saying for you.

15 Q I appreciate that since I wasn't at that Panel.
16 But what I'm hearing from your testimony, it
17 sounded as if Eversource would have an
18 environmental monitor, the contractor would have
19 one. I'm not hearing a description of one that
20 is truly independent that's representing just
21 the animals or the plants that are impacted
22 here.

23 A (Tinus) Well, I think the person that would be
24 responsible for monitoring work as it's relating

1 to a particular species is going to need to know
2 that there's certain protocols they need to
3 follow to protect that species. To be a
4 representative for those species. That's part
5 of the role of the monitor.

6 A (Carbonneau) It's in the best interest of the
7 Applicant who holds these permits to comply with
8 all of the permit conditions and the avoidance
9 and minimization measures because that becomes
10 part of their permit, and if they violate that,
11 there are consequences. So it would make sense
12 that that monitor would have the ability to
13 prevent the Applicant from getting into trouble
14 by not complying with these in whatever fashion
15 is appropriate for the event.

16 Q Given that all of the Best Management Practices
17 contain an exception for things that are not
18 practicable, it seems truly important to have an
19 environmental monitor that's both independent
20 and with authority to halt construction, and yet
21 I understand from your testimony we don't have
22 any written assurances that that's going to
23 happen.

24 A (Carbonneau) I guess the idea of what is

1 independent is somewhat subjective, but it is
2 certainly the intent of the Project as it's been
3 explained to me that the people who are
4 responsible for making sure these permit
5 conditions are complied with have the ability to
6 actually do that job because it's in the
7 Applicant's best interest to do that.

8 And I don't agree with the premise that
9 there's a way out of all of these. I think
10 that's not the case. In all cases, if there is
11 practicability issue, it is something that needs
12 to be reviewed in conjunction with the experts
13 at either Fish & Game or DES or National
14 Heritage Bureau, and that is not something that
15 the Project can just override at their will.

16 Q Would you agree that if we had a written
17 protocol or a Best Management Practice that
18 indicated the various factors that would go into
19 deciding whether a Best Management Practice
20 could be avoided based on practicality that we'd
21 have a better sense of what process this
22 environmental monitor is going to go through?

23 A (Carbonneau) I think there's probably too many
24 possibilities that I may not even be aware of to

1 be able to articulate that that well in a
2 sentence.

3 Q Would it be very difficult to put in a bullet,
4 BMM, that the environmental monitor shall have
5 the authority to halt construction?

6 A (Carbonneau) It's not up to me to put that in
7 there, but I don't see how that would
8 necessarily be a problem.

9 A (Tinus) Could I just add that there is a
10 requirement, a permit condition requirement that
11 the Applicant produce a document that's the Best
12 Management Practice and inspection monitoring
13 protocol for construction activities. So a lot
14 of the particulars will be spelled out in that,
15 and that's due to DES within 90 days of
16 construction. So there already is a permit
17 condition allowing further documentation of how
18 this process will play out.

19 Q Back to the Deer Wintering Areas. DWAs. Am I
20 correct that the Project path intersects 17
21 DWAs?

22 A (Barnum) 18.

23 Q 17 that were identified by Fish & Game and one
24 that was previously unmapped?

1 A (Barnum) Right. They know about it. But yeah,
2 it's not mapped.

3 Q That points out, does it not, that the maps are
4 not necessarily up to date?

5 A (Barnum) They, yeah. They were done in the
6 '90s, and they've been tweaked, but they are not
7 necessarily completely up to date.

8 Q And that 18 DWA figure does not take into
9 account any DWAs that might be located
10 immediately outside of the right-of-way,
11 correct?

12 A (Barnum) Does not.

13 Q And yet would you agree that those areas will be
14 impacted by construction given the distance deer
15 travel?

16 A (Barnum) They have potential to suffer
17 disturbance effects during construction, that is
18 correct.

19 Q It's my understanding that Vermont Fish & Game
20 includes a construction buffer in addition to
21 the DWA to encompass areas adjacent to the
22 right-of-way. Would that be a Best Management
23 Practice to adopt in this case?

24 A (Barnum) It could be.

1 Q Because that way you would avoid the hardship
2 which the deer are going to incur right outside
3 the right-of-way?

4 A (Barnum) If construction occurs during winter,
5 there's potential for the deer to be affected by
6 that activity.

7 Q But the Best Management Practice doesn't
8 currently include a buffer zone?

9 A (Barnum) It does not.

10 Q Is Vermont's designation of 300 feet, is that
11 reasonable? Should it be more? Should it be
12 less?

13 A (Barnum) It appears reasonable on the face of
14 it, yes.

15 Q If we were to add a 300-foot adjacent buffer to
16 the 28.3 acres currently implicated by the DWAs,
17 do you have any idea what acreage we're talking
18 about?

19 A (Barnum) I do not.

20 Q Exhibit 336 contains construction restrictions
21 based on the depth of the snow. It doesn't
22 include anything beyond that. Would a seasonal
23 construction requirement to not allow
24 construction during the entirety of the winter

1 months foster less impact on either the Deer
2 Wintering Areas or the Moose Concentration
3 Areas?

4 A (Barnum) So the restrictions that apply to DWAs
5 and MCAs are also under discussion. We just
6 recently were talking with staff at Fish & Game,
7 and we have agreed that a seasonal restriction
8 that's not dependent on snow depth will be used
9 for construction.

10 Q And so that avoids the problem of having to have
11 somebody go out there to measure to try to
12 figure out whether we're at 16 or 30?

13 A (Barnum) Exactly.

14 Q This seasonal requirement, do you have any
15 information as we sit here today what it's going
16 to be? Are we talking about, you know, November
17 to April?

18 A (Barnum) I don't remember the exact dates at the
19 moment off the top of my head. I do know that
20 it's a longer period up north and it's a shorter
21 period down south because the winter season is
22 less severe in the south and don't have the same
23 snow depths over the course of the winter.

24 Also there are no MCAs in the southern part

1 of the state so it only applies to Deer
2 Wintering Areas in the southern part of the
3 state.

4 Q How can we ensure that that seasonal restriction
5 as opposed to a snow depth restriction is
6 included in the Best Management Practice?

7 A (Barnum) The AMMs that are going to be included
8 in the plan sheets will be modified to reflect
9 those dates rather than the snow depth that's
10 currently written here.

11 Q And if anyone was interested in finding out what
12 those precise calendar seasonal requirements are
13 going to be, where might we go look for them?

14 A (Carbonneau) We're currently working on them now
15 so they're not currently available, but the
16 discussions with New Hampshire Fish & Game have
17 been ongoing. Our last meeting was last week, I
18 believe, and that necessitates a little bit of
19 back and forth with them to make sure that they
20 are comfortable with the language as it's been
21 discussed, and so they'll be available soon, we
22 hope.

23 Q Dr. Barnum, you mentioned earlier, you conceded
24 that the New Hampshire Fish & Game maps of DWAs

1 are somewhat dated. I believe they were drafted
2 in the '90s. In order to ensure that you
3 located all of the DWAs, should you have
4 expanded your protocol beyond those maps?

5 A (Barnum) So when I went out looking for DWAs, I
6 wasn't just checking DWA areas. I was in the
7 course of doing general survey throughout an
8 extensive portion of the right-of-way, whenever
9 I encountered a DWA, I made notes of that. And
10 the wintering areas can be identified in all
11 seasons based on the cover that's there, and
12 also if you take a look at the plants in
13 historic Deer Wintering Area, you see the
14 scarring from the browse. The preferred browse
15 species tend to be deformed from repeated
16 browsing. Hemlocks in particular, you see
17 scarring on the trunks so it's, you can identify
18 those areas in the summer as well as the winter.

19 Additionally, a lot of times you can also
20 see the pellet groups which is polite way of
21 saying deer poop. Winter pellet groups look
22 different than summer because they're eating
23 different things and they persist on the
24 landscape for a season or two so even in the

1 summertime when you're walking through it's
2 fairly straight-forward to identify a deer
3 wintering air area.

4 So as I was doing surveys in general for a
5 wide variety of wildlife resources, when I
6 encountered a DWA I made notes. I compared that
7 to the mapping that I had. It lined up very
8 well in all cases. In some cases, they were a
9 little bit larger and in some cases a little bit
10 smaller, but the general locations were correct.

11 Q Are you aware that the experts retained by
12 Counsel for the Public identified three
13 additional unmapped DWAs?

14 A I am aware that they made that conclusion.

15 Q And did you happen to look at those three
16 additional unmapped DWAs to conclude whether you
17 might share that agreement?

18 A One of those locations I have not been to and I
19 have not had occasion to visit since they
20 submitted their testimony.

21 The other two locations they identified I
22 have visited in person. One of them I have
23 notes indicating that there's deer yard nearby
24 and that it also has a potential to be a deer

1 yard, but at that particular time I didn't
2 consider it to meet the standards. I visited it
3 probably three, maybe four years before they
4 did.

5 And the other location I've been to, and I
6 don't have anything in my notes to indicate it
7 as a deer yard. So, again, big difference in
8 the timing of our visits. Maybe something had
9 changed in the interim, but I don't have that
10 recorded as a deer yard.

11 Q Of those three additional DWAs identified by
12 expert for the Public, one of them you haven't
13 been to, one you were at three to four years
14 before the expert was there, and the other you
15 have no notes.

16 A (Barnum) Well, I have notes, but there's nothing
17 in my notes indicating that I thought it was a
18 deer yard so --

19 Q So two out of the three, in fact, might be
20 additional DWAs that aren't included in your
21 study?

22 A (Barnum) Potentially.

23 Q Do you plan to do anything further to conclude
24 whether they should be added?

1 A (Barnum) The impacts that may occur to deer
2 yards will all be compensated for through the
3 mitigation which includes two large nice deer
4 yards. I feel that the impacts, any additional
5 impacts beyond what we've already identified
6 will still be mitigated for. So at this point,
7 I don't plan to do anything further.

8 Q So mitigation instead of avoidance or
9 minimization?

10 A (Barnum) Yes.

11 Q The Best Management Practices with respect to
12 deer or moose do not include a restriction on
13 winter motorized use of access roads, do they?

14 A (Barnum) They do not.

15 Q Can you tell the Panel what impact increased
16 motorized use of the Project access roads would
17 have on DWAs and MCAs?

18 A The alternative suggests that recreational use
19 is not a major impact on these resources. Deer
20 and moose habituate relatively quickly to the
21 noise and activity associated with snowmobiles.
22 What bothers them is stop and start, people
23 moving around, unfamiliar activity. If you have
24 a snowmobile trail through a DWA, the deer

1 habituate to it, and they also gain some benefit
2 from having the compacted snow for their own
3 travel benefit.

4 Q So I take it from that answer that you don't
5 believe increased motorized use of the access
6 roads are going to have an adverse impact on
7 either the deer or the moose?

8 A (Barnum) Some of the current deer yards that are
9 in the, that are going to be impacted by the
10 right-of-way already have existing snowmobile
11 trails through them.

12 Q I understand that, but we're talking about
13 potentially increased areas because we're
14 talking about an increased amount of access
15 roads.

16 A (Barnum) The Project doesn't plan to retain any
17 of the access roads or maintain any of the
18 access roads created for the Project. They're
19 all going to be taken out of service. If there
20 are going to be new trails, new snowmobile
21 trails, those would have to be negotiated with
22 the landowner and appropriately permitted.

23 Q Why not avoid the potential adverse impact on
24 DWAs and MCAs by posting the right-of-ways so

1 there could not be increased motorized use?

2 A (Barnum) In many cases, Northern Pass doesn't
3 own the land so it's up to the landowner to make
4 that decision. In most cases, I suppose.

5 PRESIDING OFFICER HONIGBERG: Ms. Connor,
6 sometimes in the next five minutes or so we're
7 going to need a break.

8 MS. CONNOR: I'm about to go to my next
9 animal so perhaps this is a good time.

10 PRESIDING OFFICER HONIGBERG: As a preview,
11 what is the next animal?

12 MS. CONNOR: An American marten.

13 PRESIDING OFFICER HONIGBERG: Very
14 tastefully named.

15 MS. CONNOR: It is not a mallard. I keep
16 envisioning a mallard. I couldn't be more
17 wrong.

18 PRESIDING OFFICER HONIGBERG: All right.
19 Do you have good pictures?

20 MS. CONNOR: I do.

21 PRESIDING OFFICER HONIGBERG: We'll break,
22 and we'll be back in 10 minutes.

23 MS. CONNOR: Thank you.

24 (Recess taken 3:04 - 3:22 p.m.)

1 PRESIDING OFFICER HONIGBERG: Ms. Connor.

2 You may continue.

3 BY MS. CONNOR:

4 Q Dr. Barnum, do you recognize Exhibit 304?

5 A (Barnum) I do.

6 Q What is it?

7 A (Barnum) That is an American marten.

8 Q And what type of animal is an American marten?

9 A (Barnum) American marten are a member of the
10 mustelid family. So they're related to otters,
11 fisher, weasels, mink. They're mid-sized, about
12 the size of a mink. Or a large marten also
13 overlaps in size with a small fisher.

14 Q And what is their level of protection in the
15 State of New Hampshire?

16 A (Barnum) They are State -- I'm not sure if
17 they're endangered or threatened, I have to
18 admit.

19 Q I believe they are State-threatened.

20 A (Barnum) Okay.

21 Q Am I correct that the marten was reestablished
22 in New Hampshire in the late '70s, early '80s?

23 A (Barnum) I believe there was a reintroduction
24 program, yes.

1 Q And your tracking confirmed the presence of
2 martens in 12 locations in the northern section
3 of the newly proposed right-of-way; is that
4 correct?

5 A (Barnum) I found marten tracks both within the
6 existing right-of-way in multiple locations and
7 multiple towns as well as in multiple locations
8 in what's proposed to be the new right-of-way.

9 Q The proposed new right-of-way, am I correct that
10 some folks have described that as prime marten
11 habitat because it's going to have deep fluffy
12 snow and a lack of competition; i.e., fisher
13 cats?

14 A (Barnum) There are certainly portions of the new
15 right-of-way which are, I would also describe as
16 prime marten habitat, absolutely.

17 Q Did you make any recommendations to avoid or
18 minimize the Project path into this what we can
19 call prime marten habitat?

20 A (Barnum) Yes. There was one area which had high
21 value multiple for multiple species including
22 marten, and I recommended moving the
23 right-of-way out of that area.

24 Q It's my understanding that 485 acres of existing

1 forest cover are going to be converted to grassy
2 or shrub cover in this area; is that correct?

3 A (Barnum) Yes. The new right-of-way will convert
4 existing forest into early successional
5 vegetation.

6 Q Won't the loss of this forest cover expose the
7 marten as prey to fox and coyotes in a way that
8 it's not currently exposed?

9 A (Barnum) The existing right-of-way is used by
10 marten. So although there may be higher
11 exposure, they still use the area, and you're
12 converting the habitat, you're changing its
13 quality of cover, but you're not eliminating it.

14 Q I understand that. But by converting it, there
15 is a loss of cover for the marten; is there not?

16 A (Barnum) In some locations, there'll be less
17 cover for them, yes.

18 Q And that will expose them to fox and coyote?

19 A (Barnum) The real exposure vector for fox and
20 coyote to prey on marten, which they do, is
21 adding compacted snow. Marten are designed to
22 travel in snow or a lot of times through the
23 snow under the snow. They have a lot of
24 subnivean behaviors. Fox and coyotes need or

1 benefit from having packed snow trails to access
2 habitats and do their hunting in the wintertime.

3 Q Did you do any investigation as to the impact
4 the loss of the forest cover is going to have on
5 the marten population?

6 A (Barnum) I didn't quantify that impact. I
7 assume there will be one.

8 Q And I assume it's not going be a positive
9 impact?

10 A (Barnum) Correct.

11 Q Do we know what the marten population in the
12 right-of-way is?

13 A (Barnum) We don't know that per se. Research
14 that was done for the Granite Reliable Project
15 indicated that that area, that high elevation
16 area, is probably at carrying capacity for
17 marten. I don't know what that density of
18 marten would be, but it indicates that we have a
19 pretty robust population of marten in the area.

20 Q Can we zoom in on the upper part of the State?
21 Do you have that on your screen?

22 A (Barnum) I do.

23 Q This is from Exhibit 136. Counsel for the
24 Public. It's a table from Arrowwood. I'm

1 assuming that you've seen this before?

2 A (Barnum) I have.

3 Q It indicates, according to the color margin, the
4 new right-of-way in the northern part of the
5 state, and as I understand the margin, dark blue
6 is prime marten habitat which we just talked a
7 little bit about, but what I'm really interested
8 in is it also references the Granite Reliable
9 Wind Farm. Do you see that?

10 A (Barnum) Yes.

11 Q And it also references with the little triangles
12 the current MET towers. Did those Projects have
13 an impact upon the martens? Or would you have
14 anticipated that they had an impact on the
15 martens?

16 A (Barnum) Yes. The Granite Reliable Project
17 absolutely had an impact on marten. As I just
18 referenced, the study that was conducted in
19 conjunction with the construction of that
20 Project indicated that the area where Granite
21 Reliable was built is currently at carrying
22 capacity in terms of its marten population. So
23 changing the habitat by putting in the roads and
24 the wind turbines to construct the Project

1 definitely reduced the amount of habitat that
2 was available for marten.

3 Q So since the marten habitat has already been
4 impacted by the Reliable wind farm, this
5 proposal is further burdening the adverse impact
6 to their habitat, correct?

7 A (Barnum) This will be an additional impact, yes.

8 Q And each time we have an adverse impact, that's
9 not good for the population, right?

10 A (Barnum) That's correct, and that is why for
11 Granite Reliable they had a mitigation and
12 compensation package that they provided which
13 included payment to Fish & Game and protection
14 of high elevation acreage, and that was deemed
15 to compensate for the impact that was created by
16 that Project.

17 Q But, ultimately, compensation doesn't help the
18 marten population.

19 A (Barnum) If it protects areas from further
20 development, that will provide a benefit to
21 them.

22 Q The Best Management Practice with regard to
23 martens is Exhibit 334, and the marten is on
24 page 2. This does not, this indicates that

1 there is going to be no seasonal soil
2 restriction with regard to the marten habitat.
3 Is that still the case?

4 A (Barnum) That's correct.

5 Q Do we know what kind of impact construction
6 activities might have on the marten breeding
7 season?

8 A (Barnum) In any season, construction activities
9 will create disturbance which could affect
10 marten.

11 Q Isn't that particularly so during breeding
12 season?

13 A (Barnum) Marten change their den sites pretty
14 regularly, maternity den sites. The mom moves
15 the kits around. It's part of her natural
16 behavior. The disturbance of the Project
17 construction could induce her to move a little
18 sooner than she might have been planning to
19 anyhow, but it's a behavior that she's adapted
20 to do and that she's perfectly capable of.

21 Q You indicated in response to my question about
22 the loss of forest cover that you didn't believe
23 that was going to have significant impact on
24 exposing the marten as prey but that compacted

1 snow would; is that correct?

2 A (Barnum) Correct.

3 Q And I understand that this Exhibit 334 is the
4 only Best Management Practice with respect to
5 martens so that means there is going to be no
6 recommendation that the right-of-way and access
7 roads be closed to winterized motor traffic. Is
8 that correct?

9 A (Barnum) That is incorrect. There will be a
10 recommendation to do so, and the project has
11 committed to, like I said, not maintaining any
12 of the access roads they create so those will
13 not be available for recreational activities
14 unless some other entity brings that idea
15 forward, in which case it's going to go through
16 its own permitting process.

17 Q Well, if that's going to be a Best Management
18 Practice, that's wonderful for the marten, but
19 it's not in writing yet, is it?

20 A (Carbonneau) Actually, there is a condition of
21 the Wetlands Permit to close off the access in
22 the North Country to the right-of-way to prevent
23 unauthorized ATV use in those areas.

24 Q If the right-of-way in the northern part of the

1 State can be closed to motorized travel, why
2 can't the rest of it?

3 A (Barnum) In the northern portion, the Project
4 actually owns a fair amount of the property that
5 the right-of-way will go through. They have the
6 authority, and they have the ownership. Many of
7 those parcels are also part of the mitigation
8 package, and so it makes sense to restrict
9 activity there.

10 In other parts of the right-of-way, the
11 Project does not own the right-of-way. The
12 underlying landowners do. And in some cases, I
13 suppose that some kind of accommodation could be
14 made in those locations, but the marten are more
15 abundant in the northern part of the project
16 area.

17 Q So we understand then as a condition of moving
18 forward that Best Management Practice will be
19 changed so that the access roads will not be
20 open to motorized traffic because if it was, we
21 would have compacted snow and we would have far
22 fewer marten, is that correct?

23 A (Barnum) The compacted snow would potentially be
24 a detriment to them, and yes, close it.

1 A (Carbonneau) The access roads will be removed
2 and restored so there will not be access roads
3 going forward in the future if they're not there
4 now.

5 Q I understand that the access roads will not be
6 maintained, but will there actually be some
7 process through which winterized motorized
8 access is going to be prohibited? There's a
9 difference between simply not maintaining an
10 access road and actually policing it to make
11 sure that it's not used.

12 A (Carbonneau) That's correct. The access roads
13 will be removed and so the areas even in upland
14 areas and wetland areas will be restored so that
15 they don't appear to be access roads. In the
16 time that it takes for that restoration process
17 to occur, where gates are necessary to keep off
18 unauthorized vehicles, those will be put in
19 place.

20 Q So the roads are not going to be maintained.
21 We're going to have gates until they go back to
22 natural habitat, and this is going to be a
23 condition of some permit in the future?

24 A (Carbonneau) It is already written into the

1 Wetlands Permit conditions.

2 Q Dr. Barnum, can you tell the panel what a mast
3 stand is?

4 A (Barnum) So mast refers to trees that have fruit
5 that, fruit in the broad sense. It can be
6 actually soft fruits or nuts. So it's -- or it
7 can also be trees and it can also be things like
8 raspberry bushes. So fruit-providing woody
9 vegetation.

10 Q Trees providing fruity vegetation for what
11 animal?

12 A (Barnum) A wide variety of species. Anything
13 from chickadees to black bears and everything in
14 between.

15 Q Did you undertake some effort to inventory the
16 mast T stands implicated by this Project?

17 A (Barnum) Again, as part of my general wildlife
18 habitat assessment conducted through the vast
19 majority of the right-of-way, whenever I saw
20 mast resources, I made notes about their
21 presence.

22 Q You're aware that Arrowwood has identified at
23 least three towers that are going to result in
24 the removal of various mast stands?

1 A (Barnum) Yes. I am aware.

2 Q And have you made any recommendations to change
3 anything about the tower configurations to save
4 those mast stands?

5 A (Barnum) So in the southern part of the state
6 the most common mast is oak. Oaks are
7 essentially ubiquitous throughout the southern
8 part of the state. Any place you remove some
9 trees, you're bound to be removing some oaks.
10 So that impact will occur. There's no way
11 around it.

12 I might also note that throughout the
13 existing right-of-way, there's a lot of
14 raspberry and blackberry. It just grows up as
15 part of the regeneration of vegetation during
16 the veg management so those resources are
17 currently impacted and will also be impacted.

18 In the North Country the species that's of
19 most interest is American beech, and there are
20 two stretches of the new right-of-way which go
21 through areas where there are American beech.
22 American beech is a pretty small component of
23 the forest cover in the North Country. It's a
24 bit, conditions are a bit far north, a bit too

1 far north for beech to really be abundant. So
2 there are these two areas in the new
3 right-of-way which have beech and the beech that
4 are there in the right-of-way will be removed as
5 part of the clearing.

6 Q Is there going to be any process by which
7 contractors are going to be instructed how to
8 recognize a mast stand?

9 A (Barnum) The right-of-way needs to be completely
10 cleared so irregardless of whether those beech
11 are there, they're going to be removed.

12 Q Dr. Barnum, can you identify what's on the
13 screen now as Exhibit 318?

14 A (Barnum) That are two Canada lynx.

15 Q What exactly are the Canada Lynx?

16 A The Canada lynx a felidae, member of the cat
17 family. It's one of the smaller bobtail cats.
18 It's closely related to the bobcat. You can
19 differentiate it from the bobcat by the little
20 ear tufts it's got, the great big furred paws.
21 If these guys were standing up, you can see
22 they're relatively long-legged.

23 They're designed to operate in deep snow
24 conditions. The long legs help, the thick fur

1 and those big paws. It's pretty amazing when
2 you find their tracks. They do not sink into
3 the snow. They've got this huge paw, and you
4 think any animal that's got such a huge
5 footprint is going to sink right in, but they go
6 in like maybe an inch into fluffy snow. It's
7 really striking. So they're super well-designed
8 for the deep snows and harsh conditions of the
9 North Country.

10 Q Am I correct that the lynx are both federally
11 threatened and State endangered?

12 A (Barnum) That is correct.

13 Q How many lynx are there currently in New
14 Hampshire?

15 A (Barnum) Undetermined, but probably less than
16 ten. There's an existing population in Maine,
17 and most of the lynx that are found in New
18 Hampshire are probably transients from Maine.
19 Occasionally, we might have a female who has a
20 litter here in the State, but most of the lynx
21 that we see here in New Hampshire are part of
22 the Maine population.

23 Q The transients that are coming through New
24 Hampshire, where within the state would they be

1 found?

2 A (Barnum) In my own personal work, I've found
3 tracks crossing Route 2. As part of the work
4 for this project, we observed tracks in the Town
5 of Whitefield. There are multiple records from
6 the Town of Pittsburg, and there are also some
7 records from the White Mountains. So anywhere
8 from the White Mountains north is potential for
9 lynx to travel through.

10 Q In your 2011 survey, you just talked about one
11 set of lynx tracks in the Whitefield
12 right-of-way. Am I also correct that you also
13 identified potential denning habitat in five
14 locations that are adjacent to what's going to
15 be new structures?

16 A (Barnum) I found two areas of potential denning
17 habitat in the new right-of-way. Off the top of
18 my head, I can't tell you exactly how many
19 structures they encompass, but there's one
20 relatively small bit of potential denning
21 habitat, and then there's another area that's a
22 bit longer so --

23 Q If the lynx are transient, as you described
24 them, is it fair to say the potential, the

1 denning habitat is going to change from year to
2 year?

3 A (Barnum) Yes, and denning habitat changes from
4 year to year no matter what. They like very
5 thick regen so very high-stem densities or wind
6 throw and tip-ups, and these are both transient
7 conditions on the landscape. Trees grow taller,
8 they become less dense, they don't provide the
9 cover that you need for denning. Tip-ups rot
10 and fall apart and they don't provide the cover
11 either. So denning habitat is always moving
12 around on landscape. It's not static.

13 Q So the denning locations that you observed in
14 2011 within the Project path are not necessarily
15 the denning locations that are going to be there
16 when construction starts.

17 A (Barnum) Probably ten to 20 years before
18 conditions change. I would say that the
19 conditions that I observed three years, four
20 years ago now are probably still similar. And
21 having walked, essentially, all of that
22 right-of-way, I can't think of any place that
23 will be suitable denning habitat within the
24 next, say, five years. There are a lot of

1 clearcuts that are regenerating, and I think
2 though those areas could potentially provide
3 some kind of denning habitat.

4 I would also note, though, that in the
5 opinion of the Fish & Wildlife Service that
6 denning is highly unlikely in any town except
7 Pittsburg, and the little sliver of Pittsburg
8 that is included in our Project area does not
9 contain any suitable habitat for lynx. It's too
10 low in elevation. It's down by the river.

11 Q So the Best Management Practices, Exhibit 336,
12 has a few recommendations with regard to the
13 lynx. The number one being to avoid clearing
14 around denning habitat from May 1st to July
15 15th. I'm assuming because that's their
16 breeding cycle?

17 A (Barnum) If Canada lynx are present, yes, they
18 have their kittens during that period.

19 Q And we wouldn't want construction near a denning
20 lynx especially if we have only ten lynx; is
21 that correct?

22 A Yes.

23 Q As you say, the qualification on avoiding
24 suitable denning habitat is a big one. It's

1 only if they're actually there.

2 A (Barnum) Correct.

3 Q And who is it that's going to determine if
4 they're actually there?

5 A (Barnum) That would also be the environmental
6 monitor.

7 Q And it says that during the denning season, this
8 unidentified-yet environmental monitor is going
9 to survey the denning habitat prior to clearing
10 to determine if it's occupied.

11 A (Barnum) Correct.

12 Q Is there a protocol by which the environmental
13 monitor goes back on several occasions because,
14 say, in the first day that they go there, the
15 mom is out foraging before she has her pups? Or
16 cats?

17 A Kittens?

18 Q I'm not sure what they call them.

19 A (Barnum) Kittens. If there's not a lynx
20 present, and then they come in and clear, than
21 the habitat is gone, and she will have to go
22 find some other spot, and there's plenty of it
23 up there. So it's not like we're taking the
24 only -- these are not the only two possible

1 places where a lynx could place a den.

2 Q Well, if there's plenty of denning habitat
3 outside of those that you've identified, who's
4 going to check those?

5 A (Barnum) They're not within the right-of-way so
6 they won't be disturbed.

7 Q How close are they to the right-of-way?

8 A (Barnum) They could be fairly close, but, again,
9 like the marten, lynx naturally change their den
10 site every week, ten days anyhow. So where
11 disturbance might induce the mother lynx to move
12 her kittens before she had planned to, but it's
13 a behavior that she's perfectly well adapted to
14 do, and because there's an abundance of denning
15 habitat, she won't have any trouble finding a
16 new spot.

17 Q Your testimony makes it sound like they are
18 actually very few suitable denning habitats in
19 the vicinity of the Project. Why not just avoid
20 them all together as opposed to waiting to see
21 whether or not a lynx decides to occupy one of
22 them?

23 A (Barnum) Lynx are very rare in the state, as
24 I've already noted. The US Fish & Wildlife

1 Service is only concerned with denning in the
2 town of Pittsburg. It seems overly protective
3 to just shut down all activity on the very, very
4 small chance that an animal might be present.
5 So it seems prudent and best that during this
6 short time period when she might be present,
7 take a look and not there, proceed.

8 Q Isn't the fact that there are so few of these
9 animals, doesn't that warrant a more protective
10 measure on the other end?

11 A (Barnum) There are very few in New Hampshire,
12 but there's a healthy population right across
13 the state boundary in Maine.

14 Q So because there are lots in Maine, we don't
15 care what happens in New Hampshire? Is that
16 sort of what you're saying?

17 A (Barnum) I'm saying that impacts to the small
18 population in New Hampshire will not cause lynx
19 to disappear from the northeast.

20 Q This Best Management Practice which says,
21 actually, it's the other one, page 2 of 334,
22 please.

23 Page 2 of 334 with respect to the lynx
24 indicates that the occupancy survey that this

1 environmental monitor is going to do is
2 appropriate, quote, just prior to construction.

3 What's the timing of that within the
4 breeding cycle which has kind of a wide window,
5 May 1 to July 15th?

6 A (Barnum) So the word "construction" here is
7 encompassing clearing. So if you're going to be
8 clearing this area during the denning season,
9 that's the time to be concerned about
10 potentially having an impact on lynx. And so if
11 the clearing is proceeding and there's no
12 possibility of clearing occurring at those
13 locations during that time period, there's no
14 need to look for the animal because it's not
15 using the resource in that way at that time.
16 And then once the right-of-way has been cleared,
17 there is no denning habitat. It requires
18 vegetation, and so once the clearing has
19 occurred, then there's no need to survey because
20 there's no habitat.

21 Q If the environmental monitor encounters a lynx
22 that is using one of these areas as a habitat,
23 what happens then?

24 A (Barnum) Then there can be no tree clearing

1 until the denning season is over in that
2 location.

3 Q And that would be no tree clearing between May
4 1st and July 15th?

5 A (Barnum) Correct. Yes.

6 Q What type of animals prey on the lynx?

7 A (Barnum) In the State of New Hampshire? Bobcat
8 could. Bobcat and lynx don't get along.
9 Bobcats generally win that battle. So bobcat,
10 whether it's prey or competition, is a threat
11 and potentially coyotes could corner lynx.

12 Q The Best Management Practice does not prohibit
13 the use of right-of-ways by motorized
14 recreational vehicles postconstruction in the
15 area of the lynx?

16 A (Barnum) So we just covered this exact topic
17 with the marten, and everything we said about
18 the marten applies to the lynx.

19 Q So they are going to be protected as well?

20 A (Barnum) Correct. Yes.

21 Q Dr. Barnum, have you seen this April 4th, 2016,
22 letter by the Executive Director of New
23 Hampshire Fish & Game?

24 A Yes, I have.

1 Q One of the first things that Mr. Normandeau
2 talks about on page 1 of Exhibit 337 near the
3 bottom is a concern about why a alternative of
4 using the Vermont transmission lines rather than
5 building new lines in the North Country wasn't
6 considered. Do you have any information as to
7 why the decision was made to expand the
8 right-of-way in the North Country as opposed to
9 using the Vermont transmission lines?

10 A (Barnum) I know that multiple factors were
11 considered when choosing the route, but I don't
12 have any details or information about this
13 particular issue.

14 Q Go to page 2 of the letter.

15 Mr. Normandeau goes on on page 2 to talk in
16 particular about this expanded new right-of-way
17 in the northern country because of its high
18 value of marten habitat as well as some of the
19 other large animals: fisher, bobcat, black bear,
20 Canada lynx and American marten. Do you have an
21 opinion as to whether expanding the right-of-way
22 in that area is going to adversely impact any of
23 those species?

24 A (Barnum) I observed tracks and other sign of all

1 these species within the existing right-of-way,
2 and these animals seem to use that, and I would
3 expect that the new right-of-way will employ the
4 same type and level of habitat that the existing
5 right-of-way does, and, therefore, these animals
6 will continue to use those habitats as they do
7 now.

8 Q It seems, bearing in mind I am not the animal
9 expert here, that there is a concern with New
10 Hampshire Fish & Game that having this expanded
11 the right-of-way could be adversely impacting
12 the animals because it's bisecting a region that
13 currently doesn't have that interference. It's
14 a big track where they can go back and forth
15 freeing without interference and now that's not
16 going to be the case.

17 A (Barnum) Again, I observed track and sign of all
18 these species within the existing right-of-way.
19 Obviously, they use it currently, they cross it.
20 I do not feel that the new right-of-way will
21 create a barrier to their movement. There will
22 be some impact due to the alteration of habitat,
23 but the mitigation parcels that we are providing
24 for this Project in total provide small really

1 first class habitat for all these different
2 species and will compensate for whatever impacts
3 that will be created through the conversion of
4 habitat.

5 Q Page 3. On page 3, Fish & Game is talking about
6 Deer Wintering Areas. I believe in the first
7 one where he's talking about your reliance on
8 the maps was not complete, you have, in fact,
9 identified the Deer Wintering Area that was not
10 on Fish & Game's map; is that correct?

11 A (Barnum) That is correct, yes, and I'll note
12 that that Deer Wintering Area is within one of
13 the mitigation parcels that we're providing as
14 mitigation for the Project.

15 Q If you look at the very last paragraph dealing
16 with Deer Wintering Areas, Mr. Normandeau goes
17 on to talk about some shortcomings in the
18 Wildlife Technical Report and that's your
19 report, correct? Applicant's 36?

20 A (Carbonneau) I'm sorry. I don't think this is
21 referencing Sarah Barnum's Technical Report.
22 This is about the Draft EIS, I believe.

23 Q All right. There's no way of knowing. It
24 references the Wildlife Technical Report which

1 is what Appendix 36 is titled.

2 In any event, his concern is that the
3 expansion of the right-of-way into the North
4 Country is going to not only permanently remove
5 functional deer winter cover but also interrupt
6 connectivity of the remaining cover, thus
7 degrading the Deer Wintering Areas as an overall
8 ability to harbor wintering deer.

9 Am I correct that he's talking about
10 something called fragmentation?

11 A (Barnum) That is one way to describe
12 fragmentation, yes.

13 Q And that's because with the path now in the
14 middle, you don't have the wide open area
15 without human involvement, and it degrades the
16 DWAs.

17 A (Barnum) In the existing right-of-way, the
18 existing right-of-way passes through numerous
19 deer yards, and my observations while tracking
20 indicated that the deer crossed those. I
21 observed deer directly walking back and forth
22 across the right-of-way as well as numerous
23 well-used paths.

24 Q Well, the fact that the deer have adapted to

1 what the humans have done to them already
2 doesn't make it the preferred habitat, does it?

3 A (Barnum) It does not.

4 Q And at some point, doesn't the fragmentation
5 reach a round where it has an adverse impact on
6 the population of deer?

7 A (Barnum) Fragmentation will have an adverse
8 impact, and impacts that may be created by the
9 Project are being compensated by the mitigation
10 package, which I pointed out a minute ago do
11 include two large deer yards which will be
12 managed to support their capacity to act as deer
13 yards.

14 Q Providing land in another location doesn't help
15 the deer that are impacted by this particular
16 portion of the pathway.

17 A (Barnum) The right-of-way will pass through both
18 those deer yards so it will help those deer
19 right there.

20 Q So we're relying on the deer to know that they
21 should go somewhere else.

22 A (Barnum) There are plenty of deer and plenty of
23 deer yards in the state. So the small impacts
24 that will occur will not have an overall impact

1 on the --

2 Q Would you agree with me that the Executive
3 Director of New Hampshire Fish & Game Department
4 doesn't share your optimism in that regard?

5 A (Barnum) I would agree with that, yes.

6 Q I want to go to the next page. Page 4 of the
7 same exhibit. The two paragraphs right above
8 Ridge Side Habitat.

9 In the discussions with respect to the
10 marten, am I correct that Mr. Normandeau has
11 written here that further loss of these forests,
12 the new expanded right-of-way could lead to a
13 point where habitat on the landscape is at a
14 critical tipping point and will no longer
15 support marten?

16 A (Barnum) That's what he wrote, yes.

17 Q So, again, in addition to your conclusions that
18 the Deer Wintering Areas really aren't being
19 impacted, Mr. Normandeau disagrees with your
20 opinion about the impact of your Project on the
21 marten?

22 A I agree there will be an impact to marten, and
23 the mitigation provides compensation for that
24 impact.

1 Q Well, can it provide adequate compensation if
2 the habitat for the marten is at a critical
3 tipping point where it will no longer support
4 them?

5 A I don't believe that our Project will create a
6 typical tipping point for the species.

7 Q Fair to say then that apparently the data is
8 such that there can be a difference of opinion
9 on something like that?

10 A (Barnum) The Director states that further loss
11 of these forests could lead to a point. He
12 doesn't state that it will. He doesn't have any
13 information to support that it will so he's
14 speculating.

15 Q Okay. We're talking about the Executive
16 Director of the New Hampshire Fish & Game who is
17 concerned enough about this Project's impact on
18 the marten that he says the landscape's at a
19 critical tipping point, but we sit here today,
20 it's not your opinion apparently that this
21 Project is going to have an unreasonable impact
22 on the marten.

23 A (Barnum) It is not my opinion.

24 Q Go to page 4. The very bottom. Sorry. 5.

1 In Exhibit 337, the Executive Director of
2 Fish & Game expressed concerns on the future
3 motorized use of the access roads, something
4 that we've been talking about, and he notes in
5 there that we haven't seen assurances that these
6 roads, even if they are not maintained, will not
7 remain open to the public.

8 I understand that perhaps since this was
9 written in April of 2016 you have decided that,
10 in fact, that there will be assurances, at least
11 for the upper northern part of the project, and
12 that there will be no open ability to the
13 public, but that's not true about the rest of
14 the right-of-way, is that correct?

15 A (Carbonneau) That's correct.

16 Q And so although you have addressed
17 Mr. Normandeau's concerns about the very tip-top
18 of the state and the Project, you have not
19 addressed his concerns about the access roads
20 throughout the rest of the project.

21 A (Carbonneau) This excerpt is taken from the
22 letter that addresses the Draft EIS which is not
23 a document that we wrote, and the work that we
24 have done with Fish & Game has superseded some

1 of what may have been in the Draft EIS, which,
2 again, is not our document. So these comments,
3 I'm not certain exactly where he is referring to
4 because I don't, I don't know if he is limiting
5 this comment to the North 40. It sounds like
6 he's specifically discussing the Northern 40,
7 and that is the area that we know that they are
8 most concerned with and that we have addressed
9 in our Application materials.

10 Q You've addressed it in terms of now changing how
11 the access roads are going to be handled, but
12 you haven't changed it with regard to
13 fragmentation for Deer Wintering Areas or the
14 impact on the marten.

15 A (Carbonneau) Right.

16 Q In this April 4th, 2016, letter, Mr. Normandeau
17 also talks about, again, in the context of the
18 marten habitat a concern about this Project
19 because of the potential for further wind park
20 development, and am I correct that the Applicant
21 holds a lease for a further wind development
22 project in that area? Which I believe was on
23 the map that I had up a few minutes ago.

24 A (Barnum) I have no knowledge of any wind park

1 document planned by the Applicant.

2 Q And again, the thought being at some point the
3 number of projects that impact the marten
4 habitat is going to cause the habitat to be, in
5 his words, at the tipping point in terms of
6 whether it will continue to support the
7 population?

8 A (Barnum) That is what he expresses in this
9 letter, yes.

10 Q Do you agree that when dealing with an animal
11 species, at a certain point the number of
12 additional intrusions into their habitat has a
13 cumulative effect?

14 A (Barnum) Yes.

15 Q We can zoom in a little bit.

16 Are you aware since you've walked this area
17 so frequently whether the MET towers are
18 currently on line? Or is that a proposed
19 project?

20 A (Barnum) I have no knowledge of that project.

21 Q Certainly if the Applicant had plans for a
22 further project, a wind farm in this area where
23 the marten are already being impacted by this
24 Project, that could lead to a cumulative adverse

1 impact on them?

2 A (Barnum) Additional Projects would lead to
3 additional impacts.

4 Q Thank you.

5 Dr. Barnum, what birds are encompassed by
6 the term raptors?

7 A (Barnum) Raptors include hawks, eagles, falcons.

8 Q So generally larger-size birds?

9 A (Barnum) They are birds of prey, they have
10 talons that can grip, and they have beaks that
11 can rip basically. But the gripping talons is
12 important. For instance, vultures are not
13 included as raptors because they don't have that
14 same ability to grip.

15 Q Which of the raptors do we need to be concerned
16 about in terms of being a threatened or an
17 endangered species?

18 A (Barnum) The species with status in our state
19 are northern harrier, and then bald eagle and
20 osprey are also listed as special concern.

21 Q Best Management Practice with regard to
22 wildlife, which includes raptors, at 336 has a
23 table in terms of nesting dates. Do you see
24 that? I suspect you're familiar with that?

1 A (Barnum) Yes.

2 Q And am I correct that the recommendation is to
3 avoid construction activities wherever any of
4 these particular raptors might be located during
5 their nesting periods which is basically April
6 to the end of, well, the middle of August?

7 A (Barnum) It varies by species, yes. Right.

8 Q Would all of these species be located in similar
9 locations of the Project or are they going to be
10 separated out?

11 A (Barnum) They all have their own unique habitat
12 requirements.

13 Q Am I correct that in terms of who is going to
14 implement this Best Management Practice, we are
15 back to the environmental monitor?

16 A (Barnum) That is correct.

17 Q The Best Management Practice indicates that
18 construction should not be undertaken during the
19 nesting season when any of these raptors might
20 have an active nest.

21 What is the protocol for locating an active
22 nest?

23 A (Barnum) It will be, again, this is one that's
24 currently under discussion with Fish & Game. It

1 will be some form of survey, probably a
2 walk-down of the right-of-way for the large
3 stick nests which would be osprey and bald eagle
4 which has got its own AMM but is also a raptor.
5 Those nests could be spotted by helicopter.

6 Q So this is an area where the Best Management
7 Practice is currently being rewritten?

8 A (Barnum) Being, yes.

9 Q To afford more protection than the original
10 plan?

11 A (Barnum) The rewrite will have a little more
12 detail, little more specificity, but it will be
13 essentially the broad overview that you see
14 here.

15 Q Why is there no Best Management Practice for
16 interference with raptors outside of the nesting
17 cycle?

18 A (Barnum) Because the nests and the young are
19 unable to move away from disturbance. Adult
20 raptors can move easily, and they have large
21 home ranges. Construction disturbance in a
22 small portion of their home range should be
23 essentially irrelevant to them because they have
24 large area which they can go and use instead.

1 And the right-of-way, for the most part, doesn't
2 provide any essential habitats for these
3 species.

4 Q Who is going to have the final say over the
5 rewriting of this Best Management Practice in
6 terms of determining the identification of
7 active raptor nests?

8 A (Barnum) Fish & Game.

9 Q Dr. Barnum, do you recognize Exhibit 308?

10 A (Barnum) That is the common nighthawk.

11 Q What is the status of protection for the common
12 nighthawk?

13 A (Barnum) Common nighthawk is listed as
14 endangered by the State of New Hampshire.

15 Q Do we know how many of them there currently are
16 in the State of New Hampshire?

17 A (Barnum) New Hampshire Audubon has been
18 conducting summer survey for the last ten years
19 now. The number of nesting pairs varies. I
20 think there's been a high of maybe 15, and some
21 years I don't know that they find any.

22 Q It's my understanding that the Audubon tracking
23 in Concord has confirmed the presence of this
24 particular endangered bird within the Concord

1 Eversource right-of-way; is that correct?

2 A (Barnum) That is correct. It nested
3 successfully there for three years. Two maybe.

4 Q Your Best Management Practices call for a buffer
5 area around an active common nighthawk nest.

6 A (Barnum) Yes.

7 Q But they don't detail the size of that buffer
8 zone?

9 A (Barnum) That is correct. That would be subject
10 to the conditions at the nest site. The
11 successful nests in the Concord area in the
12 right-of-way were within an active concrete yard
13 where the company that owned the land was able
14 to keep right on doing what they were doing and
15 still the bird was able to nest successfully
16 based on a buffer that they placed around that
17 nest with the advice of Audubon and Fish & Game.
18 So it would be, you know, the local conditions
19 at that moment where the nest is placed is going
20 to dictate what the appropriate buffer will be.

21 Q What was the buffer employed by the concrete
22 company?

23 A (Barnum) I don't know. I don't have that
24 information.

1 Q And would you agree that there might be some
2 locations where in fact the bird is not
3 subjected to those types of disturbances?

4 A (Barnum) They nest in many different settings
5 and situations. So, yeah, there's going to be
6 birds who might choose a site that's a little
7 less active.

8 Q Are there no empirical studies indicating what
9 might be a desirable buffer zone around an
10 endangered bird that has numbers under 20?

11 A (Barnum) Not for this species. I mean, every
12 bird is different. They have a wide variety of
13 behaviors. You know, some birds are very
14 sensitive and would flush as soon as you're
15 within a hundred yards. This species is highly
16 cryptic. It depends on its feathers for
17 protection. Its general strategy is to hold
18 still and sit still and not move, and you will
19 not notice it. And it's far less sensitive to
20 disturbance than some other species would be
21 just because of the strategy it has employed to
22 survive over time.

23 Q The Best Management Practice indicates that
24 prior to initiating work during the nesting

1 season there's going to be a survey for active
2 nests.

3 A Correct.

4 Q And then it goes on to note that the methodology
5 is going to be reviewed, but the methodology
6 itself is not described. Do we know what the
7 methodology is going to be?

8 A (Barnum) That will be discussed with Fish &
9 Game.

10 Q So this Committee is sort of not being given an
11 opportunity to weigh in on whether that
12 methodology provides the best protection for
13 this bird?

14 A (Barnum) The details of that methodology will be
15 part of the conditions of the permit.

16 Q Again, that doesn't provide this Committee or
17 the Public with input on the conditions, does
18 it?

19 A (Barnum) Not at the moment. No.

20 Q Do you have that exhibit in front of you?

21 A Yes. Exhibit 333?

22 Q Yes. Am I correct that this Exhibit 333 is a
23 table from the Normandeau Wildlife Report in
24 which you identified a number of structures

1 within the Project path that had the highest
2 risk of avian collision?

3 A (Barnum) These are locations, yes, between
4 structures, essentially, where it appears based
5 on the surrounding habitat that there is a
6 higher risk of collision.

7 Q And if you look at the list of potential known
8 species, we're talking primarily about larger
9 birds: loons, bald eagles, herons and osprey?

10 A (Barnum) That's correct.

11 Q Why is it these larger birds have the greater
12 risk of avian collision?

13 A (Barnum) There's multiple reasons why certain
14 species have higher risk. Size obviously plays
15 into it. Behavior. Raptors, in general, are
16 excellent flyers, high mobility and wouldn't
17 collide normally, but if they're hunting or
18 distracted in some other way, there's a risk for
19 collision for them.

20 Waterfowl, which includes ducks, swan,
21 geese, et cetera, they are not excellent flyers.
22 They're kind of a little bit clumsy so they
23 don't have great maneuverability. They don't
24 have the ability to get out of the way of a line

1 as readily as some other species.

2 And if you think about the way their vision
3 is constructed, as prey animals they've got
4 their eyes on the side of their head so they can
5 see things coming. They are literally blind to
6 the front while they're flying which is fine
7 because they evolved in a world without
8 transmission lines or other obstructions so
9 there wasn't anything to hit. Now that there
10 are things to hit, their vision, which was
11 adapted, designed to keep them from getting
12 eaten, doesn't really help them avoid collision.
13 And then you combine that with their
14 not-so-great flying skills, they'll see it at
15 the last second, but they may not be able to
16 maneuver their way out.

17 Loons, also not very skilled flyers. Very
18 heavy body, small wings. They don't have a lot
19 of maneuverability in the sky.

20 So you have a whole combination of factors.
21 Another thing to consider is the kind of
22 habitats that these guys use. And the
23 waterfowl, again, they use a certain kind of
24 habitat. They congregate in great numbers.

1 You'll have flocks in the thousands,
2 particularly out in the western United States,
3 and, again, if you're flying in a group of a
4 thousand other birds, the ones in the front
5 might see the obstruction and get out of the
6 way, but the ones in the back might not have
7 enough time.

8 So there's a whole host of reasons why
9 certain birds are more susceptible, and it's
10 different for different species.

11 Q Can you identify the protected status of these
12 larger birds?

13 A (Barnum) Loon is listed in the State of New
14 Hampshire as is the osprey.

15 Q What does "listed" mean?

16 A (Barnum) Listed as either threatened or
17 endangered. Loons are threatened.

18 Q Bald eagles?

19 A (Barnum) Bald eagles, I believe, are threatened
20 in the state. Osprey are special concern. Some
21 of them have status. Not all of them.

22 Q Your report indicates that studies have
23 quantified that the rate of collision reduction
24 following the implementation of something called

1 a "lane marker" is commonly as high as 60 to 70
2 percent. Can you describe what a lane marker
3 is?

4 A (Barnum) There are whole variety of different
5 kinds of deterrents or markers that they can put
6 on power lines. They come in different shapes
7 and sizes. There's flappers, there's balls,
8 there's spirals. So it could be any one of
9 those things.

10 Q How do bird diverters work to avoid avian
11 collision with towers and wires?

12 A (Barnum) Birds don't generally hit towers. They
13 hit wires.

14 Q Okay.

15 A Generally speaking, they're hitting the shield
16 wire which is the thin wire above the thicker
17 wires. What happens is they're flying, they do
18 see that thicker wire, and they go "yikes," up
19 they go, but then the shield wire, which is thin
20 and they miss that, that's what they hit. So if
21 you put the diverters, the flapper, the ball,
22 the spiral onto the shield wire you make that
23 wire more obvious, and, hopefully, the bird will
24 see the whole thing to start out with and will

1 pick a trajectory which will avoid the entire
2 set of wires.

3 Q Diverters. Page 3 of 334. In the Best
4 Management Program laid out in Exhibit 334, on
5 the last page, there's an entry regarding
6 potential avian collision areas, and as I
7 understand the Best Management Practice that's
8 going to be used in this case, it is to install
9 bird diverters on the highest lines, if
10 necessary.

11 Who gets to decide whether they're
12 necessary and when?

13 A (Barnum) Currently, there's no indication that
14 bird collision is a high source of mortality in
15 New Hampshire or I'm unaware of any example in
16 New England. If in the future after the line
17 were constructed, somebody noted that there was
18 a lot of mortality under a section of line, then
19 there should be a discussion whether that
20 section of line required diverters.

21 Q So the Best Management Practice is going to be
22 to wait until we have a lot of dead birds?

23 A (Barnum) Correct. Yes.

24 Q Since you actually studied the birds that are

1 most likely to be impacted and the location of
2 those birds, wouldn't it make sense to put line
3 diverters at those half a dozen locations?

4 A (Barnum) The areas where you tend to have high
5 rates of mortality due to collision are places
6 where you have high densities of especially
7 waterfowl. They're particularly susceptible.
8 Also cranes. And there are no locations in New
9 Hampshire where we have those high density large
10 populations. Most of the examples of high
11 collision areas come from the western United
12 States where you have hundreds of thousands of
13 waterfowl gathering during migration on specific
14 large open water habitats. We don't have the
15 habitats here which is probably why we don't
16 have the species here. There's, like I said,
17 there's no known example in New Hampshire of
18 large mortality events for birds due to power
19 lines.

20 Q Aren't these power line structures going to be
21 taller so we've got a higher wire that's even
22 taller than what currently exists?

23 A (Barnum) The height of the wire is not an
24 important factor in collisions. The factors

1 that I just discussed about the birds
2 themselves, and then habitat factors are the
3 most important. Weather, inclement weather also
4 is a real driver of collision. So the height of
5 the wire itself, low wires and high wires, it
6 doesn't make any difference, you still get
7 mortality events, and those locations that are
8 prone to them will have them regardless.

9 Q Back up to 333.

10 So the table that you compiled with respect
11 to structures that may have a higher risk of
12 avian collision appear to be located next to
13 large bodies of water which is consistent with
14 the concern in terms of larger birds. Is that
15 correct?

16 A (Barnum) Consistent with concerns of the species
17 that are most susceptible to collision, yes.

18 Q How many dead bald eagles would it take before
19 it would be appropriate to install lane
20 diverters?

21 A (Barnum) I don't have an answer for that.

22 Q Of the various birds on this list, isn't the
23 bald eagle one of the ones of more concern?

24 A (Barnum) That's correct.

1 Q So, in fact, wouldn't one death be enough for
2 the cost of a lane diverter?

3 A (Barnum) There are other considerations for
4 adding the diverters to the lines. There are
5 operational considerations. Lines that have
6 diverters are more prone to icing. There can be
7 wind impacts. They need to be maintained. And
8 there's also aesthetic impacts to installing the
9 diverters.

10 So until there is a compelling reason from
11 the collision point of view to add them, since
12 there's not generally an issue with collision in
13 our state, I think that the, the multiple
14 considerations, there's, like I said, there's
15 things besides the birds to consider, and I
16 think until there's a compelling reason, the
17 other considerations outweigh that.

18 Q As I understand the equation here, we've got the
19 death of the bird on one hand, and on the other
20 hand we have the cost of the lane diverters and
21 the maintenance?

22 A Well, and there's also the issue of icing and
23 reliability. So power outages, et cetera.

24 Q And even though, I mean, we're also not talking

1 about a huge universe in terms of the number of
2 structures with the greatest impact.

3 A (Barnum) That's correct.

4 Q Talking about a dozen tower structures.

5 A (Barnum) We're not, we're considering the area
6 between the structures so in some cases it's
7 more than, yeah, but --

8 Q It's certainly not as if it's unreasonable in
9 terms of the number of lane diverters that we're
10 talking about, is it?

11 A (Barnum) I'm not in a position to determine
12 what's reasonable in this particular indication.

13 Q If you were simply looking at this particular
14 topic from the standpoint of the bird, would you
15 agree it would be appropriate and perhaps
16 preferred to install these lane diverters before
17 the bird has a collision because isn't a
18 collision going to be fatal?

19 A (Barnum) Almost always, yes.

20 Q From the bird's perspective, wouldn't it be
21 preferable to have these?

22 A (Barnum) If birds were the only consideration,
23 certainly.

24 A (Carbonneau) It's important to note, though,

1 that the collision event is a remote
2 possibility. It's not likely. And, therefore,
3 I think that needs to be taken into
4 consideration before a decision is made about
5 how to proceed with that.

6 Q That may be, but, again, that goes back to my
7 question of how many dead bald eagles we need to
8 have before it gets deemed appropriate.

9 A (Carbonneau) And chances are, there won't be
10 any.

11 Q It seems unusual to establish a protocol only
12 after the bird has died as opposed to in
13 advance.

14 A (Carbonneau) I disagree with that. These are
15 adaptive management strategies. They're used
16 all the time in the wind energy department.

17 Q 311. Dr. Barnum, do you recognize Exhibit 311?

18 A This is Bicknell's thrush.

19 Q And what's important about a Bicknell's thrush?

20 A They're very rare. They summer in high
21 elevation areas and in the northeast, and they
22 overwinter in islands in the Caribbean,
23 especially the Dominican Republic where their
24 habitat is being severely restricted, and so

1 there's real bottleneck to their overwintering
2 habitat and survival.

3 Q How many Bicknell's thrush are there here in New
4 Hampshire?

5 A I do not know that.

6 Q You mentioned that they are a high elevation
7 bird?

8 A Correct.

9 Q So where in the Project path would we anticipate
10 encountering a Bicknell's thrush?

11 A (Barnum) So there's a model to determine what is
12 suitable habitat for Bicknell's, and as you go
13 up in latitude, lower and lower elevations are
14 suitable for this species. Within our Project
15 area, the area that is determined to be suitable
16 is the Sugar Hill area in Stewartstown and
17 Dixville so 27,000 feet, well, 26,000 feet and
18 higher essentially. 2600. I'm sorry. It's not
19 the Himalayas.

20 Q That went right by me.

21 Am I correct in thinking that there are no
22 Best Management Practices specifically dealing
23 with the Bicknell?

24 A (Barnum) That is correct. I conducted a survey

1 for this species in the area for suitable
2 habitat, and we did not detect it. For the
3 survey, I followed the protocol recommended by
4 the Mountain Birdwatch which is organized
5 specifically to survey for this species
6 throughout the northeast.

7 Q So you surveyed what area?

8 A (Barnum) The Sugar Hill area which is Dixville
9 and Stewartstown.

10 Q And how was that --

11 A (Barnum) So not the town of Sugar Hill but the
12 mountain called Sugar Hill. It's confusing, two
13 different.

14 Q And what did you rely upon in conducting that
15 study?

16 A (Barnum) I used the protocol recommended by the
17 Mountain Birdwatch which is an organization
18 dedicated specifically to surveying for high
19 elevation birds, and they have a specific
20 protocol which is used throughout the northeast.
21 It's a standard protocol that allows different
22 survey efforts to all be compared.

23 Q I appreciate that it's got credentials, but what
24 is the protocol?

1 A (Barnum) You need to survey for this species,
2 it's a point count protocol which means you're
3 going to different points, and you're listening
4 for all the birds that you hear. Needs to be
5 conducted between June 1st and June 30th, and
6 you need to do the survey between sunrise and 8
7 a.m. You go to your points which need to be 250
8 meters apart. You listen for five minutes. You
9 write down everything you hear. If you don't
10 here a Bicknell's thrush, you use a taped
11 recording of the call, you play that back three
12 times, and after each playback you listen for
13 one minute, and see if you draw any in to
14 respond to your recording.

15 Q And when was the survey conducted?

16 A (Barnum) 2013.

17 Q Are Bicknell's thrush migratory?

18 A (Barnum) They are, yes, which is why you have
19 the specific dates to make sure you are
20 surveying during the time when they would be
21 present.

22 Q But does that migration vary from year to year?

23 A (Barnum) It does, and that's why June 1st is
24 used. Some years they're going to come earlier,

1 but even on a cold slow year, they will be there
2 by June 1st, and, again, this was, this protocol
3 has been developed and refined over years, and
4 it's used because it's known to be accurate.

5 Q If there were no birds detected by the study in
6 2013, does that guarantee that there are going
7 to be no birds there whenever this Project
8 construction gets under way?

9 A (Barnum) The results of the survey one year
10 would not guarantee it. However, in addition to
11 doing the survey, I also accessed the habitat,
12 and the habitat at this location, although the
13 elevational requirements are met, the structural
14 component of the vegetation is extremely
15 marginal for this species, and probably gotten
16 only less good for them in the intervening time
17 as the trees have grown up.

18 These guys require shorter trees. Fir
19 waves are what they really like. They like the
20 edges of open areas so envision the little trees
21 at the top of the ski area at the edge of the
22 ski run. That's perfect for them. They love
23 that.

24 And the top of this hill has been logged.

1 It's regenerating, and the trees are, in
2 general, much taller. There is some small
3 pockets of areas where the habitat was
4 marginally suitable, but, again, over time these
5 trees are just getting taller and becoming less
6 suitable.

7 Q So as I understand it, you undertook this study
8 in the northern elevations because you thought
9 the habitat could support this very rare bird?

10 A Had the potential to, yes.

11 Q You didn't find any. Just because you didn't
12 find any in 2013 has no bearing on whether
13 they're going to be there two years from now,
14 and there is no further followup?

15 A (Barnum) It does have some bearing. Like I
16 said, I assessed the habitat. I determined that
17 the habitat was marginal, and based on
18 successional growth, the vegetation which is
19 well understood, I determined that the habitat
20 will become less good over time.

21 Q I guess I'm not following the reasoning that
22 further followup isn't warranted because the
23 habitat was marginal. The habitat is the same
24 as it was when you decided that it warranted a

1 study.

2 A (Barnum) No. It's different. Trees continue to
3 grow.

4 Q Well, trees growing up little, but it still
5 could support this bird.

6 A (Barnum) Maybe.

7 Q I take it, even though it's rare, it doesn't
8 warrant any kind of Best Management Practice for
9 somebody like an environmental monitor to keep
10 their eyes peeled for this bird?

11 A (Barnum) We're not recommending that at this
12 time.

13 Q Would it be difficult to recognize this bird
14 versus other birds?

15 A (Barnum) The call is distinctive. That's
16 generally how you locate them. You can see
17 they're not brightly colored. They're quite
18 cryptic, and they spend most of their time down
19 in the lower vegetation. So the call is what
20 you're listening for.

21 Q So if an environmental monitor was trained on
22 the call, they would be able to know whether
23 this rare bird was indeed present.

24 A (Barnum) They could, yes.

1 Q And if the bird was present, what type of
2 measures should be undertaken to safeguard it?

3 A (Barnum) No activity during the breeding season
4 which is June 1st through June 30th.

5 Q There are a number of other birds mentioned in
6 your study that as I understand it might be
7 impacted by the Project: the sedge wren, the
8 rusty blackbird and the pied-billed grebe.

9 A It's just grebe.

10 Q Why is it that those three birds were selected
11 to be included in your report?

12 A (Barnum) Those three birds are all species of
13 special concern.

14 Q What does it mean when you say they are a
15 species of special concern?

16 A (Barnum) They are designated by New Hampshire
17 Fish & Game to have that status, and that means
18 that they are species that could potentially
19 become listed as threatened or endangered in the
20 future.

21 Q So, in other words, their populations are
22 decreasing?

23 A (Barnum) They are decreasing or they are animals
24 that were recently listed as threatened or

1 endangered whose populations are increasing but
2 haven't increased to the point yet where they
3 want to not give them some consideration.

4 Q And although these three birds were referenced
5 in your report, it's my understanding that you
6 actually didn't do an inventory with respect to
7 whether they might be impacted by this Project.
8 Is that correct?

9 A (Barnum) I didn't do direct surveys for them. I
10 evaluated habitat, and this was in line with
11 what was recommended to me by Fish & Game in
12 terms of choosing which species to do a direct
13 survey for versus species to simply evaluate
14 habitat for.

15 Q And describe the merits of a direct survey
16 versus an analysis of evidence of habitat.

17 A (Barnum) The species which -- so for Bicknell's
18 thrush, I chose to do a direct survey rather
19 than just analysis of the habitat because this
20 species is a candidate for federal listing. So
21 in the event that it became federally listed
22 before the Project was constructed, I wanted to
23 have some baseline information on that species.

24 The other three species that we're talking

1 about are not candidates for federal listing,
2 and are not known to breed -- I'm trying to
3 remember now. Not known to breed within the
4 state or very uncommonly breed in the state. So
5 that if a bird was present, it's not that its
6 nest would be impacted. It would be an adult
7 bird who could move from the construction area
8 easily.

9 Q Am I correct that a direct survey is a more
10 accurate survey versus simply evidence of
11 habitat?

12 A (Barnum) You have a more, yeah, you have a
13 better understanding about presence based on a
14 direct survey.

15 Q Evidence of habitat is basically desktop
16 modeling?

17 A (Barnum) Again, as I mentioned before, I've
18 directly observed vast stretches of the
19 right-of-way. So it was a combination of
20 looking at aerial photography and my own
21 personal direct observations of the suitability
22 of the habitat.

23 MS. CONNOR: I'm going to turn to snakes
24 unless folks have had enough fun.

1 PRESIDING OFFICER HONIGBERG: Well, we're
2 going to have to break around five. So if you
3 can do something in 10 minutes or so, that would
4 be great.

5 BY MS. CONNOR:

6 Q Ms. Barnum, with respect to the three birds that
7 we were just talking about, the sedge wren, the
8 rusty blackbird and the pied-billed grebe,
9 you've indicated that you don't believe that
10 these birds would be nesting in New Hampshire
11 because they're migratory?

12 A I misspoke. So the sedge wren, there are no
13 nesting records. They're known to breed in
14 other locations. They tend to show up in the
15 state later in the summer, and they're probably
16 not breeding. I don't know that anybody knows
17 that for sure.

18 The pied-billed grebe, there are some
19 nesting records. Rusty blackbirds are known to
20 breed within the state, and I also assume for
21 the rusty blackbird that it's present within the
22 right-of-way. I observed it there and that it
23 probably does nest within the right-of-way.

24 Based on that assumption, some impacts to

1 that species will occur during construction or
2 of the Project, and those impacts will be
3 compensated for, mitigated for through the
4 mitigation package. The parcels of property
5 that will be protected provide areas with plenty
6 of suitable habitat for rusty blackbirds within
7 its range, and they should be able to take
8 advantage of those locations.

9 Q If as you just indicated that you misspoke and
10 that these birds not only nest in the
11 right-of-way or not only nest in New Hampshire
12 but also in the right-of-way, why not, as you
13 did with the other threatened bird species,
14 include at a minimum a nesting moratorium with
15 regard to active nests? Seems like a pretty
16 small restriction.

17 A (Barnum) That would be May 25th through July
18 25th. It would be a fairly substantial
19 restriction.

20 Q So that's why we don't include it? Because it's
21 too much of a restriction on construction as
22 opposed to too much benefit or protection for
23 the bird?

24 A (Barnum) It is also difficult to locate these

1 nests. They're not easy to find. And the
2 mitigation package does provide benefits to the
3 species.

4 Q Well, again, without a direct survey, we don't
5 know how many birds we're talking about this
6 having an impact upon?

7 A (Barnum) Correct. However, I did do some
8 habitat analysis for this species. It is a
9 wetland breeding species. It breeds in wetland
10 areas with coniferous trees that are maybe
11 between five and 15 feet tall, and it also only
12 breeds in the northern part of the state. So,
13 essentially, Whitefield north might have habitat
14 for this species.

15 Wetlands within the existing right-of-way
16 generally would not have suitable nesting
17 habitat because the current vegetation
18 management would keep the vegetation lower than
19 they would like for their nesting. In the new
20 right-of-way there's actually very few wetlands
21 because of the topography that we're traveling
22 over. There are a few areas, certainly.

23 However, I don't believe that suitable
24 nesting habitat for rusty blackbirds is

1 widespread or extensive within the new
2 right-of-way where impacts might be most likely
3 to occur.

4 Therefore, it's my professional judgment
5 that while there would be impacts, they would be
6 relatively minimal, and that the mitigation
7 would provide suitable compensation for them.

8 Q And what about the pied-billed grebe which
9 you've also indicated would be nesting within
10 the Project path?

11 A (Barnum) So, again, habitat analysis for
12 pied-billed grebe, these guys need large open
13 water areas with a 50/50 mix of open water and
14 tall emergent vegetation. These are habitats
15 that are rare throughout New Hampshire to begin
16 with. There are a couple of very marginal areas
17 within the Project right-of-way. And the
18 potential for impacting a nesting pied-billed
19 grebe, while not zero, is very low.

20 Q I want to return to the Bicknell's thrush which
21 is still up on our screen here. You indicated
22 that you did a survey pursuant to the protocol.
23 It was in 2013. Are there other protocols that
24 recommend more, a wider range of sampling rather

1 than one year for the Bicknell's thrush?

2 A (Barnum) If there are, I'm unaware of them.

3 Q The standard protocol with regard to tracking
4 the migration of an endangered bird, sort of
5 like when we went back on the egg count with
6 respect to the butterfly, isn't it always more
7 reliable to get increased data points as opposed
8 to doing it in just one segment in time?

9 A (Barnum) If we're talking about tracking
10 migration, we'd be using a completely different
11 survey protocol.

12 Q How about tracking location within New
13 Hampshire? Nesting?

14 A (Barnum) More data points are always more
15 reliable. If the habitat were of higher
16 quality, I'd feel like multiple years of survey
17 might be preferred. I'm comfortable with the
18 effort that I put forth. In my professional
19 judgment, it was a suitable amount of effort.

20 Q So the decision to inventory or investigate the
21 habitat of the Bicknell's thrush on just one
22 year as opposed to several years is sort of
23 based on your professional judgment as opposed
24 to a standard protocol?

1 A (Barnum) Fish & Game has reviewed the work I've
2 done. They haven't requested an additional
3 survey. If they were to request an additional
4 survey, we could do that.

5 Q I'm a little confused about the reliance upon
6 Fish & Game. It appears that when Fish & Game
7 agrees with what has happened, that's the
8 answer, but when they disagree as with the
9 Normandeau letter, then it doesn't matter.

10 A (Barnum) That letter was directed at the EIS.

11 Q Well, it was also directed at decisions that
12 have been made such as fragmenting the Deer
13 Wintering Areas and fragmenting the area for the
14 lynx and the marten, and that hasn't changed.
15 So whether they were upset about the EIS or
16 upset about where this Project is going --

17 A (Barnum) That's correct. So they expressed an
18 opinion in that letter, but as a consequence of
19 that opinion, they haven't asked us to do
20 anything different with our AMMs. We've been
21 consulting with them, as Lee alluded to. We had
22 a meeting with them just last week. They
23 haven't requested any additional measures. They
24 have had every opportunity to do so based on

1 their opinions which they expressed in that
2 letter, and they haven't.

3 Q So even though they may not be content with the
4 status of the protection being afforded certain
5 animals, unless they push back, nothing further
6 is going to be done in order to afford more
7 protection under the Best Management Practices?

8 MR. WALKER: I'm going to object to that
9 characterization of that letter.

10 PRESIDING OFFICER HONIGBERG: I don't know
11 that that was a characterization of the letter.
12 Can you repeat that question?

13 MS. CONNOR: I'll try.

14 PRESIDING OFFICER HONIGBERG: Or if you can
15 word a question to avoid the issue, that's fine,
16 too. I didn't hear it that way, but I wanted to
17 see what --

18 BY MS. CONNOR:

19 Q Am I correct that the Best Management Practices,
20 that you're not going to take action under the
21 Best Management Practices to provide greater
22 protection unless any displeasure by Fish & Game
23 results in more strenuous pushback?

24 A (Barnum) The AMMs that we're offering are

1 appropriate and suitable based on my
2 professional experience and opinion. If Fish &
3 Game has a different opinion, they can express
4 that, and we'll respond to it.

5 Q Well, it appears that that has been expressed
6 with regard to Deer Wintering Areas, the lynx
7 and the marten, and the Best Management
8 Practices haven't changed.

9 MR. WALKER: Same objection as to the
10 characterization of Fish & Game's. What she's
11 expressing as to what Fish & Game has said, we
12 disagree with, and we'd object to that.

13 PRESIDING OFFICER HONIGBERG: Dr. Barnum,
14 is there anything beyond what you just said in
15 how you'll deal with Fish & Game you want to add
16 in response to the questioning you're getting
17 from Counsel here? Or have you said all you can
18 say about how you're going to deal with Fish &
19 Game?

20 A (Barnum) Yes, I think so.

21 PRESIDING OFFICER HONIGBERG: Is there
22 anything else you want to ask about, Ms. Connor?

23 MS. CONNOR: No, I will move on to another
24 topic, but it's also 5.

1 PRESIDING OFFICER HONIGBERG: Yes, it's
2 going to have to wait until tomorrow. We'll
3 break for the evening. The hearing will resume
4 Friday at nine o'clock.

5 Tomorrow morning we'll be receiving public
6 comment. There has been a notice issued for the
7 three public comment sessions that are on the
8 schedule. The expectation is that we'll
9 probably need one more. I'm sure you've all
10 seen the notice, and it doesn't really apply to
11 anybody in this room unless there may be some
12 members of the audience who are part of that.
13 But we're going to go on, I think it's going to
14 be hour 39 of public comment before the
15 Committee. That doesn't include the other
16 opportunities members of the public have had to
17 attend the prefiling meetings that the Applicant
18 was required to hold, and the sessions that took
19 place in early 2015 in the five counties.

20 So it's part of the process, and we will
21 continue to go through it. We've also received,
22 I think, over a thousand written comments thus
23 far that are all being posted to the website.
24 So we're certainly hearing from people, and we

1 expect to hear more tomorrow. And then we will
2 see you again on Friday. Mr. Walker?

3 MR. WALKER: Mr. Chairman, just very
4 briefly, I wanted to raise a scheduling issue.
5 As a result of some these hearings days and the
6 schedule being modified, I wanted to alert
7 everyone that Mr. Varney has a conflict that has
8 come up on the 16th which is Friday. He will be
9 here for the morning session, but not the
10 afternoon session so as people are planning
11 questioning because he's going to be back here
12 on the 20th. So that, obviously, if we have to
13 juggle and move things around and come back to
14 him, that's fine, but I wanted to make sure
15 people knew that.

16 He does have additional conflicts, and if
17 this gets pushed into the end of June --

18 PRESIDING OFFICER HONIGBERG: Yes, we'll
19 jump off that bridge when we get to it, but
20 people can adjust to Mr. Varney's schedule on
21 Friday. Thus far, he's been blissfully, I'm
22 sure for him, quiet, but I'm sure that will
23 change at some point, but people can work around
24 that, and if there's a need to rearrange

1 people's schedules on the questioning side to
2 make sure they have an opportunity to ask
3 Mr. Varney questions they need to ask, then
4 we'll deal with that.

5 MR. WALKER: Thank you.

6 PRESIDING OFFICER HONIGBERG: So we're
7 going to close the hearing today and adjourn.
8 Off the record.

9 (Hearing recessed at 5:02 p.m.)

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

C E R T I F I C A T E

I, Cynthia Foster, Registered Professional Reporter and Licensed Court Reporter, duly authorized to practice Shorthand Court Reporting in the State of New Hampshire, hereby certify that the foregoing pages are a true and accurate transcription of my stenographic notes of the hearing for use in the matter indicated on the title sheet, as to which a transcript was duly ordered;

I further certify that I am neither attorney nor counsel for, nor related to or employed by any of the parties to the action in which this transcript was produced, and further that I am not a relative or employee of any attorney or counsel employed in this case, nor am I financially interested in this action.

Dated at West Lebanon, New Hampshire, this 18th day of June, 2017.

Cynthia Foster, LCR